

TRANSCRIPT OF PROCEEDINGS

5 CORONER'S COURT OF THE  
AUSTRALIAN CAPITAL TERRITORY

10 MS M. DOOGAN, CORONER

15 CF No 154 of 2003

15 INQUEST AND INQUIRY

20 INTO

20 THE DEATHS OF DOROTHY MCGRATH,  
ALLISON MARY TENNER,  
PETER BROOKE, AND DOUGLAS JOHN FRASER,  
AND THE FIRES OF JANUARY 2003

25 CANBERRA

DAY 1

30 10.05 AM, TUESDAY, 7 OCTOBER 2003

35 Transcript produced by:

WordWave International Pty Ltd  
Level 8, 84 Pitt Street  
Sydney, NSW 2000

40 t: (02) 9229 2500  
f: (02) 9229 2501  
e: canberrafires@wordwave.com.au

45

THE CORONER: This is the inquest into the  
deaths of Dorothy McGrath, Allison Mary Tenner,  
5 Peter Brooke and Douglas Fraser, and the  
inquiry into the fires of January 2003.

MR LASRY: I am ready to proceed, your Worship,  
yes. Your Worship, soon after 3 o'clock on  
10 Saturday, 18 January of this year, a fire which  
had begun about 10 days earlier in the  
Brindabella National Park in New South Wales in  
the vicinity of a place called McIntyre's Hut  
burned into the western edge of Canberra.  
15 Having come over Mount Stromlo and destroying  
the installations there, it struck the urban  
area of Canberra in the vicinity of the  
intersection of Warragamba Avenue and Eucumbene  
Drive in Duffy. Over the next hour, two other  
20 fires which had begun as three fires in the  
vicinity of Bendora Hut and Stockyard Spur in  
the Namadgi National Park also affected  
Canberra as part of what became a huge  
firestorm.

25 The fires which struck the urban edge of  
Canberra were in three separate sections - the  
main McIntyre's fire to the north, the Bendora  
fire south of that, and a breakaway from the  
30 McIntyre's fire between those two which, I  
suspect, by convective force - and expert  
evidence will be given about this - appears to  
have been pulled between the two fires.

35 That meant that the immediately exposed urban  
area that was exposed to the fire threat in  
Canberra stretched from Duffy in the north to  
Gordon in the south, a straight line distance  
of about 15 kilometres. One of the spectacular  
40 effects of this fire, and I say "spectacular"  
not in any other than perhaps a tragic sense,  
was that the fires were of sufficient intensity  
and force to generate what was genuinely a  
tornado. It began somewhere near the Pierce's  
45 Creek plantation, proceeded into the Arrawang

Nature Reserve and then into the suburb of Chapman around the vicinity of Lincoln Close and that, of itself, as your Worship will hear, did some devastating damage.

5

Apart from the weather event, the evidence of the weather bureau witnesses, who will be the first witnesses called in this section of the inquest, will indicate that the fire on 18 January was of sufficient intensity to actually create its own weather cell, in effect creating its own thunderstorm, and the cloud plume from the fire reaching as high as some 42,000 feet. Over a period of some three weeks, 70% of the entire Australian Capital Territory was burned by these fires. This was a devastating fire and it was a disaster that may have been preventable or at least its intensity lessened.

10

15

20

The evidence is likely to indicate that the ACT and its residents were very poorly prepared for this event, despite previous fires over the years and various warnings that such a disaster was possible and in the view of some inevitable. The extent of that lack of preparation will be debated in the coming weeks and months during this inquiry. That debate will no doubt refer to concerns about complacency at certain levels, the suitability of the structure of the fire authorities in the ACT and issues of fuel reduction and the extent to which that had or had not been satisfactorily achieved.

25

30

35

Additionally, and importantly, in the days leading to 18 January 2003, the evidence may well suggest that the ACT public were not given anywhere near the information they needed to cope with this catastrophe. If on the evidence that turns out to be so, then of course the question will be why not. The question is highlighted by the fact that on Saturday, 18 January, four people were killed. Many more were injured and a phenomenal loss of property occurred. Some of the injuries were very

40

45

serious, and their effects will be carried by those who were affected for life. For those who survived this trauma even without physical injury, the sheer trauma of the Saturday afternoon will probably have left emotional and possibly psychological scars which may never heal.

Under the ACT Coroner's Act, you are about to embark on a detailed inquest of inquiry into these fires. On 16 June of this year, you outlined the basis upon which that inquiry would be conducted, which included the need to ascertain the cause and origin of the fires. You referred in the course of your remarks at that stage to the public interest in such an inquiry being held and predicted that you would make recommendations and may make comments on relevant matters that come within your jurisdiction.

Naturally, much of the public's attention has already been concentrated on the events of Saturday, 18 January, since that was the day when the devastating losses occurred. As I've already said, there was a common theme about that day which was that there was a lack of public information about the tragedy which was to occur and how people might prepare for it.

The nature and timings of public warnings will be something that we'll examine with some considerable care later in these hearings. Much of that evidence we expect will be given in the second phase of the inquest, which will be held in the first half of next year. As is well known to the people of Canberra because they lived through the smoke haze for the 10-day period, these fires began well before 18 January.

This inquiry will, like others before it, examine the manner in which the fires beginning on 18 January in the Namadgi and Brindabella National Parks were responded to and the manner

in which operational decisions about that response were made. And, going back a little further, some history may be at least briefly examined both as to the organisations  
5 responsible for bushfire fighting in the ACT and on issues of fuel management and fuel reduction.

As I've already said, we are concerned  
10 effectively in this inquiry with four fires which became three fires. The primary source, as I understand the evidence, of the Canberra firestorm on 18 January was a combination of the fire which started near McIntyre's Hut in  
15 New South Wales, another one which commenced in the vicinity of Bendora Hill, and two other fires, Stockyard Spur and Gingera, which started separately but combined on the morning of 15 January and became known as the Stockyard  
20 fire. These fires were in a sense separated by a state border and, therefore, being dealt with by separate agencies, albeit cooperatively. The evidence may or may not indicate that that resulted in differences in available resources  
25 to be applied for fighting the fires, as well as variations in the approaches or tactics that were taken in relation to them.

Whether there were such differences and whether  
30 those differences, if they existed, caused difficulty, will be a matter that will need to be examined. The fire obviously knew no state boundaries and, in this inquest, it may be that the question of whether or not the border  
35 between the ACT and New South Wales is in some respects an obstacle to effective bushfire fighting might become an issue, and no doubt those issues will be dealt with in phase 2.

Another issue which has been raised in public  
40 discussion and in other inquiries is the issue of fuel loads, particularly in the national parks and the manner in which those fuel loads were managed or reduced or whether there was a  
45 lack of sufficient fuel reduction which, in

turn, dramatically increased the intensity of these fires. We will of course examine those issues.

5 Amongst the material which forms part of the  
phase 1 brief are documents which trace the  
development of fuel management plans in the  
1990s, and the nature of those plans and  
implementation, or lack of it, will be examined  
10 during the hearings. And it is hoped that, by  
the end of the evidence, useful recommendations  
will be able to be made which will stand to the  
substantial benefit of the ACT on issues such  
as that.

15 It is appropriate to note at the outset that,  
as a result of these fires, four people died,  
and a number were injured. Those who died all  
died in the Duffy vicinity, the most severely  
20 damaged area in these fires. Those people were  
Ms Dorothy McGrath, aged 76, of Cottage 5,  
Stromlo Forestry Settlement, 113 Cotter Road,  
Duffy. Ms McGrath died some time in the late  
afternoon of 18 January 2003 when the fire came  
25 into the Stromlo forest settlement and she died  
as a direct result of the fires.

Mrs Allison Tenner, aged 38, of 9 Burrendong  
Street, Duffy, also died in these fires. Her  
30 house is two rows of houses back from the  
Warrangamba Avenue firefront, in effect, and  
one of a group of six houses that were  
destroyed. Mrs Tenner died in her home on the  
afternoon of 18 January, some time after 3.30  
35 in the afternoon.

Peter Brooke was aged 74 years and lived at 40  
Tullaroo Street in Duffy. Mr Brooke died some  
time in the late afternoon of the 18th of  
40 January, and it appears that occurred while he  
was on the roof of his house trying to defend  
it from the fire. The likely cause of death  
were burns received in the course of that  
activity.

45

Finally, Douglas Fraser was aged 60 years. He lived at 23 Burrendong Street, only about six houses away from Mrs Tenner, and Mr Fraser died at some time after 4pm on Saturday, 18 January in the backyard of his premises, and it's likely that he also died attempting to protect his home from the fire. The likely cause of death in his case was smoke inhalation.

It is appropriate at this stage of course to make the observation that one of the fundamental purposes of this inquest is to examine the manner and cause of death of those four persons and to do so in a manner which causes them appropriate dignity. It is also appropriate to note that a number of people were injured, both civilian and emergency service personnel. In excess of 350 presented as injured at the Canberra and Calvary hospitals. Of that number, 46 were admitted and several of those suffered serious injuries with lifelong consequences. Some 83 emergency services personnel, including all services, sustained various injuries which brought the total number of injuries, whether slight or serious, to in excess of 430 people.

Despite the tragedy of the four deaths which did occur, it is in many ways miraculous more people were not killed, given the ferocity of what occurred on that day. On top of all that, there is of course the question of cost. Inevitably these are estimates, but we estimate that the total cost of the fires is appropriately in the order of half a billion dollars - that is \$510,296,000. Without being able to quantify the damage done to the catchment areas and the consequential cost to the water supply for Canberra, together with the financial value of the forestry destruction in the pine forests, it may be that the total figure, if it could ever be calculated, may be closer to \$1 billion, and that is a phenomenal sum of money.

45

The known amounts are made up of the following components - loss to the ACT Government by damage of destruction of property, \$59,896,000; civilian loss based on the value of total insurance claims as best we can estimate, \$350,400,000; loss to the Federal Government, including Australian Federal Police installation and the Australian National University, \$43 million, but if in fact the Mount Stromlo Observatory, which was destroyed, requires to be rebuilt on a heritage protected basis, then that cost will be closer to \$100 million.

As your Worship knows well, there have been several other inquiries following the last fire season and several other inquiries which affect the fires that we will inquire into. In the ACT, an inquiry was conducted by Mr Ron McLeod AM, which was concerned principally with what was described in his report as the operational response to these fires. Mr McLeod completed his work in the middle of the year, reached a number of findings, and has made a number of recommendations which the ACT Government has said it will implement.

In New South Wales, the Deputy State Coroner has recently released his findings in relation to the fires at McIntyre's Hut, Broken Cart in New South Wales and Mount Morgan. Some of the material from those inquiries will probably find its way into the hearing in this inquest, but of course in our submission, whether you come to the same conclusions as those inquiries did on the issues that they considered, will depend entirely on the evidence you hear and what you make of it.

It's not our intention to urge you to conclude that other inquiries have reached the correct or incorrect conclusions. Many of the conclusions reached by those inquiries are not contentious. But we will present the available evidence and you can reach your own conclusion

on the matters which come within your ambit as the ACT Coroner. If they are different from other conclusions which have already been reached and expressed publicly, then no doubt that will be a matter of public interest and discussion, probably by reference to the variations in the nature and the quantity of evidence before each inquiry.

This inquiry and inquest is important because of the nature of the subject matter of the inquiry and because throughout the inquiry the evidence gathered from witnesses will be on oath and subject to cross-examination by the various represented parties. Whilst a large amount of the material is in documentary form, a large number of witnesses will be called over the duration of the inquiry so that the conclusions which ultimately will be contended for by us assisting you and by representative parties can be tested by cross-examination.

And as has been previously said, the hearing of this inquiry will be held in two phases - in this phase much of the material is documentary, and I'll take you shortly summarily to the documents and make some comments about them. But this part of the hearing will include also oral evidence and, by the end of this part of the hearing, we expect to have a clear picture of these fires, how they started, how they spread and the circumstances under which they impacted the western edge of Canberra.

As has been previously foreshadowed in direction hearings before you, at the end of this evidence we would hope that we would be in a position to announce what we would submit would be an appropriate list of issues that would govern the remainder of the inquest. We would expect those issues to include topics such as information and warnings, community safety and education, logistics and resources, incident management, incident planning and strategies and fuel management, and there may

be a large number of other issues which, against the background of the evidence to be called in this phase of the inquiry, will be appropriate to be looked at.

5

Primarily we are concerned with what occurred between 8 and 18 January. Of course the fires didn't go out on 18 January - and indeed they burned for some 12 further days after that - but it seems to us with a view to dealing with the matter as expeditiously as we can and concentrating on the issues that are important, that those issues primarily arise in that 10-day period between 8 and 18th January.

15

Your Worship, it might be useful, although everybody has the material, at least the representative parties have and you have, but if I endeavour briefly to summarise the evidence that I expect will be given about the fires themselves and their progression. Were there a jury in this room, they would be instructed that what I'm about to say is not evidence and it's the evidence that's to be preferred, which is always devastating for the ego of the barrister who's making the summary, but nonetheless, in so far as I make any errors in this summary, of course it's the evidence that's the critical thing. Hopefully the summary will assist in some understanding of the evidence that's to follow.

20

25

30

35

40

45

The evidence, broadly, will indicate that, in 2002 and 2003, the El Nino weather event produced below average rainfall and abnormally high temperatures in eastern Australia, obviously including the Australian Capital Territory. Although rainfall was below average for most months from April to October 2002, the critical period was between October and December 2002. And in that period, the rainfall was the third lowest total on record for that period. On the other hand, the average maximum temperature in November 2002 was 5 degrees above normal.

In this part of the world, fire authorities use an index to measure a number of things including dryness in the soil. It's calculated in millimetres and is the theoretical amount of rain required to bring the upper levels of soil to saturation. In late December 2002, that index, which is called the Keetch-Byram Drought Index, and which will probably be better known from here on as the KBDI, to avoid the lengthy name, had reached 100 millimetres, which is described by experts as being an extreme level, and means, among other things, that fires, forest fires, which are alight during the day will remain burning overnight even in mountainous country.

In addition to the KBDI, there's also another scale which is in effect a forest fire danger scale called the McArthur fire scale, which I think incorporates the KBDI as part of its analysis. This has been used for many years and combines an index of soil moisture, relative humidity, wind speed and recent rainfall, and it produces an index of the difficulty of suppression of fires occurring in the standardised fuel type, broadly categorised by a dry eucalypt forest carrying a fuel load of 12.5 tonnes per hectare of fuel. I think the evidence will indicate that fuel loads in the forests were significantly higher than 12.5 tonnes at the point when these fires commenced.

Your Worship will hear about those indexes and the way in which they were used to analyse fire risk during this period.

On the afternoon of 20 January 2003, as a result of what were called dry thunderstorms and consequential lightning strikes, a number of fires started in the region, being the Brindabella and Namadgi National Parks. As I've already said, the fire was started in New South Wales. About which most of the evidence will be heard will be the one that started at

McIntyre's Hut and the ignition point was something of the order of 12 kilometres west of the Australian Capital Territory border, and it's clear that that fire played a substantial  
5 role in the damage done to Canberra 10 days later on 18 January. As I've already outlined, it was effectively the northern section of the firestorm and it was that tonne or finger of fire which struck Duffy on the afternoon of 18  
10 January.

On the afternoon of 8 January, witnesses also observed that there were three other fires in the ACT in the vicinity of Bendora Hill, some  
15 distance away from the Bendora Dam, Stockyard Spur and Mount Gingera. On 8 January, the weather included a temperature of 31.5 degrees with relative humidity of 20%, and the relative humidity, your Worship, will be obviously  
20 important in the descriptions of the fire conditions over the following 10 days. The winds at that stage were either from the north or south-west and the KBDI, that I've earlier referred to, was showing 108.2, and subsequent  
25 forecasts rose to 117.

In the days following 8 January, the temperature dropped - 24.2 on the 9th, 24.9 on the 10th, and a bit cooler on the 11th, and the  
30 winds, as they often are in this region, had swung to the east-south-easterly, and that was expected to continue until Wednesday the 15th.

One of the issues that's already arisen in other inquiries is the question of whether  
35 there was a lack of aggression demonstrated in the response to these fires at the earlier stages - that is, during the 8th, 9th and 10th of January.

40 In relation to the fire near McIntyre's Hut, that came initially within the jurisdiction of the New South Wales Parks and Wildlife Service. On the afternoon of the 9th of January, that  
45 fire was brought under section 44 of the New

South Wales Rural Fires Act, which provides that the Commissioner of the New South Wales Rural Fire Service in such circumstances must take charge of bushfire fighting operations  
5 where it's clear that it's going to be a large fire. It's obviously not what the section says but it's clearly what it means, and of course the Commissioner may also delegate his functions for the purpose of acting under  
10 section 44.

The initial strategy adopted by all concerned in the fires at that stage is described as remote indirect suppression, the tactic of  
15 having, at least in the case of McIntyre's Hut, broad containment lines in which back-burning became the essential tool of combatting the fire. So far as the three fires in the ACT were concerned, there was no direct attack on  
20 those fires either. Whilst the fire crew had attended the Bendora and Stockyard fires in one form or another, it was determined that no crews were to remain to conduct firefighting or control operations overnight on either 8 or 9  
25 January.

In his report, Mr McLeod was very critical of this decision and suggested that the manner in which the decision was made not to remain at  
30 the fires overnight must be taken to have been seriously flawed. We'll be anxious to test the evidence about those matters during the course of these hearings. You may or may not later conclude that the failure to use the advantages  
35 that arise in the evening to control these fires was a significant opportunity that was lost, and that situation appears to prevail for at least two nights.

40 In relation to the McIntyre's Hut fire, the incident control team determined to control the fire on 8 January within identified control lines. Broadly they were the Goodradigbee River to the west, the power line fire trail to  
45 the south, the eastern fire breaker at the

Brindabella National Park to the east and Doctor's Flat Road and Webbs Ridge trail to the north. The evidence also suggests there was an interagency meeting between New South Wales  
5 Parks, New South Wales Rural Fire Services and the ACT Emergency Services Bureau at 8.30 that night at which strategies and resources for several fires were settled, which included broad containment strategies.

10 On 9 January, no direct suppression action was taken anywhere on the edge of the McIntyre's fire and no suppression action was attempted on the night of 9 January.

15 As to the Bendora fire, some early suppression was undertaken on the north-east flank, I think, on 18 January and preparations were made to run out a hose line to cut off the head of  
20 the fire. There were some water drops from the helicopter 'Firebird 7'. However, at around 7.30pm the crews were withdrawn and no work was done on the fire overnight.

25 More work was done the following day, on 9 January, but it was abandoned at about 6pm on that evening. As I've earlier said, until 14 January, the Stockyard Spur fire and the Mount  
30 Gingera fires were separate. On the night of 8 January, apart from some water bombing, no suppression action was taken on the Stockyard Spur fire. By the time the crews actually arrived in the vicinity and pondered the prospect of having to walk at about 7pm, it was  
35 decided to abandon any attempt and return to Canberra and no action was taken on the Gingera fire on this date at all.

40 On 9 January, a remote area fire team, which is often known by the acronym RAFT, arrived at Stockyard and began constructing a hand line near the north-west section of the Stockyard fire. But by 3 o'clock the fire burnt up to the containment line and crews withdrew and  
45 then withdrew for the day at 5.30.

At Gingera a four-man crew arrived but found they did not have enough personnel for hand-line construction, nonetheless remained overnight to stop the fire from crossing the Mount Franklin Road.

Over the following days, all the fires continued to spread. Because of the nature of the country, they were becoming increasingly difficult to control. There is no question, your Worship, that fighting fires in regions like this is difficult work. This is not flat country. This is, as you've seen, mountainous terrain. By trails and by fire breaks, access by water-carrying tankers is not always possible. It also seems that water bombing from the air is a precise art and requires significant planning and skill.

No rain had fallen from the thunderstorms on 8 January, so there was no rain to assist with fire suppression, and all of the fires continued to spread over the following days, although on the following days, 10, 11 and 12 January, the conditions were relatively cool and calm and the winds moved to the east south-east. And when we move into the benefits of the technology in this court, you'll see satellite photographs that actually track the way in which that wind changed.

Severe fire weather was, however, inevitable. And, by 14 January, the weather bureau was telling fire authorities that the extended outlook was not good. Indeed, at about that stage, the weather bureau participated in an in-person briefing at the Emergency Services Bureau. What they were saying from 14 January onwards was that temperatures for Saturday, 18 January would be at least 35 degrees, and as the day got closer, the predicted temperatures were increasing.

On Wednesday, 15 January, the bureau were

telling all interested parties that the conditions will deteriorate and that Saturday, 18 January would be a day of concern, with temperatures in the 30s, and of course, 5 importantly, winds from the north-west. By Thursday, 16 January, the temperatures were back to about 33 degrees. At the same time, relative humidity was dropping to below 20%. 10 Some time on 16 January, the Emergency Services Bureau determined that a total fire ban would apply for five days, given the weather conditions and the state of the fires. And on this day, senior personnel from the Emergency Services Bureau briefed the ACT Cabinet on the 15 fire situation. We trust we'll get access to the detail of that briefing.

In the early hours of Friday, 17 January, a north to north-west wind developed, temperature 20 peaked that day at 36 degrees, humidity dropped to 15%. The scene was then set for a significant fire problem. By then the McIntyre's Hut fire was now close to the ACT border, which in a straight line is about 15 25 kilometres from the urban area of Canberra. Spot fires were commencing well beyond the eastern containment line. On 17 January, the Bendora fire was burning in both New South Wales and the ACT and was expanding. By 6 30 o'clock on that Friday night, the fire was spotting between Mount Franklin and the Cotter River, and by 9 o'clock that night a spot fire had burned into the Pierce's Creek pine plantation just to the west of the Murrumbidgee 35 River and, once that river and the Bullen Ranges are crossed, it's a short trip to Canberra, in the order of 5 kilometres or so.

The Stockyard fire was spotting across the 40 northern end of the Corin Dam, and those spot fires are likely to have produced a fire that burned through to Mount Tennent about 9 kilometres due south of the Canberra urban area.

45

This meant that by Friday night, with an extreme weather day to follow, the entire western side of Canberra was under threat. The Emergency Services Bureau held a planning meeting at 9.30 on 18 January, and during that meeting they were given the projected outlook from the weather bureau. That meeting discussed the potential for the McIntyre's fire to have an impact on the western urban edge of Canberra, as well as affecting areas such as Tuggeranong and Williamsdale - those areas being affected by the other fires.

The evidence about the behaviour of the fires themselves is relatively complex and will be given in detail by Mr Cheney in his evidence. But, in summary, as I understand it, it basically follows this pattern - by midday on Saturday, 18 January, the McIntyre fire was burning in timber country, behind Uriarra Station. That meant that it was still some 10 kilometres away from the Weston Creek area. By 2 o'clock, the fire was in the pine plantations at Mount McDonald, across the Murrumbidgee at 2.30 and, 15 minutes later, was on the western slopes of Mount Stromlo. It hit the suburb of Duffy at the intersection of Warragamba Avenue and Eucumbene Drive just about 3 o'clock and, half an hour later, hit between Dixon Drive and Hindmarsh Drive also. As I understand it, the rate of spread of this fire was quite significant and unusual.

Also on this Saturday, a section of the western edge of the McIntyre's fire broke away and crossed the Goodradigbee River. Your Worship will recall that the Goodradigbee River was to be the western containment line. It crossed the Goodradigbee River and then burnt east and, by 2.45 in the afternoon, had merged with the other section of the McIntyre's fire to the north and the Bendora fire to the south, and that merged fire entered suburbs from Duffy down to Gordon. And it's in this context that the tornado occurred which entered the suburb

of Chapman. The weather bureau called such an event, I think, an intense local vortex, and you'll hear evidence about the various possibilities that explain the happening of this event.

There's an issue to some extent as to whether and how the Bendora fire and McIntyre's fire merged. On one view of the evidence, they did merge at about 3.45 in the afternoon. It seems likely that some days before the fire struck the Canberra urban area, subject to weather conditions, they were recognised by the authorities as being unstoppable. When that was and what they did by way of informing the Canberra public about that will be a matter of subsequent evidence. And, as I've already referred to, a detailed description of this fire activity, with all the associated technical assistance, will be given later in this hearing by Mr Phillip Cheney, who I think is regarded as one of the foremost experts in Australia on bushfire behaviour.

I come then to the brief as it presently stands and say a little about the material that's in it. As I've already said, the evidence will come from witnesses and from the documentary material which has been supplied to the parties. Most of it has been available, although some further material which is relevant has come to light over the last week and will be referred to during the course of the evidence.

For the purpose of these hearings we've prepared a brief which had several basic components and we've tended to include more material rather than less, although the inclusion of documents does not mean that they're all necessarily directly relevant. I hope it will become clear that certain issues will be still in the course of these hearings and, as inevitably will occur, particular documents will become more important and

fundamental than others.

5 In hard copy form, the documents occupy about  
12 volumes at present. The first 10 volumes of  
that set is a collection of a significant  
amount of historical data that might be  
relevant. Some of that material may not be the  
subject of any further evidence at this stage,  
and indeed further analysis is yet to be done  
10 in relation to it. I'll refer now to some of  
those categories.

The first category is historical documents and  
15 historical overview. The documents in the  
brief in relation to that make it clear that  
major fires in Canberra are not unusual,  
although certainly not to the scale of this  
one. The very first document in the first  
folder is a newspaper clipping from the  
20 'Canberra Times' of 16 January 1939 - 64 years  
ago. According to that report, the fires had  
"raged" along the Murrumbidgee on a Saturday  
afternoon and crossed the river at certain  
points. Complaints were made amongst the  
25 citizenry that the fire had been neglected for  
three days because the fire was thought to be  
too far away to cause any damage. Ironically,  
I think the Federal Minister for the Interior  
announced that he was going to set up an  
30 inquiry to examine how there might be more  
effective organisation in fighting bushfires.  
And there were also complaints then, 64 years  
ago, about the inadequate organisation of  
bushfire fighting.

35 On 27 January 1952, there were fires this time  
in the vicinity of the suburbs of Red Hill and  
Narrabundah on the eastern edge of the Canberra  
area, and on the day of those fires an inquiry  
40 was announced to start immediately. A week or  
so later, on 6 February 1952, fires commenced  
in the Mount Stromlo area, and again damaging  
the Mount Stromlo Observatory. This fire was  
also said to have been caused by a lightning  
45 strike. It does not appear that the 1939

fires, nor the 1952 fires, though, represented a major threat to the Canberra and urban area in the way that of course these fires did.

5 On 14 February 1979, fires burned between  
Canberra, Gundagai and Mittagong. In March of  
1985, fires occurred again in the Red Hill area  
and in the vicinity of Queanbeyan, and there  
were emergencies described as being in two  
10 shires - Yass and Yarrowlunla. A spectacular  
fire in 1985 was in Mount Majura, not far to  
the east of the suburbs of Hackett and Ainslie.  
The emergency in 1985 lasted for a number of  
days and, on 5 March 1985, as you will see in  
15 the material, the opposition spokesman on the  
environment, Mr Connolly, now Justice Connolly  
of the Supreme Court, was quoted in the  
'Canberra Times' as being critical of the  
handling of the fire disaster and, in  
20 particular, the cooperation between the ACT and  
New South Wales fire authorities.

There were also fires at Black Mountain and  
Pierce's Creek pine plantation in 1991 and in  
25 Curtin in 1994. And, on Christmas Eve 2001,  
another series of bushfires commenced. These  
fires apparently commenced on the Uriarra Road  
near Huntly, north-west of the Stromlo pine  
forest, and another fire commenced on the  
30 Coppins Crossing Road, which became known as  
the Stromlo fire. In July of last year, Mr  
Peter Lucas-Smith from ESB prepared a report  
for the Coroner, which is in this brief as well  
as in the brief for the Coroner, dealing with  
35 that matter. His report indicates those fires  
burned for more than two days and covered a  
total area of about 1,700 hectares. That  
inquest into that fire has not yet been heard,  
so perhaps at this stage it's not appropriate  
40 to say anything more about those fires at this  
stage.

The next category of material is in fact  
visual. We have prepared a compilation of  
45 video taken during the course of these fires.

Our intention is to play the video in its entirety at the conclusion of Mr Cheney's evidence and ask him to comment as we go through, but it's a video that may take two or  
5 three hours to play.

The footage comes from a variety of sources - CSIRO, the local media, various other individuals who took film - but it is important  
10 data and it goes back as far as the 8th. The film, as I understand, contains extracts from 8 January, the 12th, 13th, 14th, 15th, 17th and of course the 18th when there was a significant amount of film, including dramatic film of the  
15 situation in Duffy on the afternoon of Saturday, the 18th, which I think was taken by a Channel 9 cameraman.

The next section of the brief will deal with fuel management and, as I've already said in  
20 the course of this opening, we expect that will be an important issue. In his report, Mr McLeod recommended to the ACT Government earlier this year that:

25 The ACT bushfire fuel management plan should be reviewed in the light of changed circumstances since the January 2000 fires. Increased  
30 emphasis should be given to controlling burning as a fuel reduction strategy.

We propose to produce at this stage all the fuel management planned for the ACT and the nearby region of New South Wales from 1995  
35 onwards. It will be appropriate to examine the history to some extent of earlier reports and recommendations in relation to this because of the fundamental importance of fuel loads to the  
40 intensity of fires such as the fire that occurred here in January of this year.

It seems likely that the events of January 2003  
45 had been predicted on several occasions and it

seems likely the government had been warned on those occasions that such a fire would occur. The important question, which will no doubt be an issue for you to consider, will be whether appropriate measures were in fact taken by the relevant authorities to either alleviate or diminish the risk and, if the answer to that is no, then why not.

10 In a sense, this topic starts with a Mr Howard  
McBeth, and he'll give evidence in this phase  
of the inquest. Mr McBeth was the deputy chief  
of the South Australian Country Fire Service  
and, in 1994, was commissioned to report on the  
15 effectiveness of the fire hazard reduction  
practices of ACT Parks and Conservation  
Services. In his report, he formed the view  
that the scope and terms of reference were  
inadequate by being restricted to the ACT Parks  
20 and Conservation Service and, in his opinion,  
the ACT Government needed to adopt a whole of  
government approach to fire land management and  
associated issues.

25 A dispute broke out between Mr McBeth and the  
government of the day. Mr McBeth's report was  
neither implemented nor paid for. The fact of  
that became an issue in the 1995 ACT election  
and Mr Humphreys, who, following that election  
30 became the Minister for Police and Emergency  
Services, released the report and made an order  
that Mr McBeth be paid for his work. In that  
report, Mr McBeth also noted that, under  
extreme weather conditions, and given the total  
35 fuel loads in some areas are well in excess of  
30 tonnes per hectare, extreme fires were  
inevitable.

40 He noted that such extreme fires are beyond the  
capacity of any fire service to suppress or  
contain. He urged that the quantity of fuel be  
reduced and that the reduction be maintained.  
He recognised that there was a balance to be  
reached between fuel reduction and  
45 conservation, though he noted that fire was a

natural component of the Australian landscape. He expressed the opinion that ACT Parks and Conservation Service programs did not provide an adequate safeguard against the impacts of single or multiple wildfire events in the ACT. He adopted views that had been expressed by Mr Phil Cheney in September 1991 in his comments on a report which concerned the reorganisation of emergency services.

In 1991, Mr Cheney had made a number of points which included that minimising damage from wildfires required effective action at home-owner and local levels, fuel must be reduced, the main risks are from areas just adjacent to the urban area, land management organisations must take responsibility for fire suppression, and, since they don't in his view, fire protection in the ACT was flawed. There needed to be in his view a cooperative fire management plan involving parks management and urban home owners adjacent to parks, and the ACT Parks and Conservation Service should organise findings and undertake rural firefighting.

A consequence of the 1995 election was that a task force was established called the Task Force on Bushfire Management. It was established under the chairmanship of Mr Graham Glenn AO. It had been established and reported to the ACT Government in August of 1995. In essence, it recommended among other things that ACT Government land managers, in consultation with residents, give priority to fuel reduction and to bushfire safety awareness for residents in identified fire hazard areas. It also recommended that fuel management plans be prepared and be reviewed every two years and be approved by a bushfire fuel management committee.

The task force noted the importance of integrating fire suppression and fuel management. It is also important to note, we

think, that the report referred to the urban interface of having particular concern in terms of fuel management and referred to a number of areas, and at the top of the list was what is described as the Narrabundah Hill, which is the area adjacent to the Eucumbene Drive-Warrangamba Avenue, Duffy, intersection, and also he referred to the Stromlo pine forest adjacent to the Tuggeranong Parkway. Apart from its recommendations as to fuel management plans and practices, the task force also strongly recommended that particular building regulations appropriate to bushfire-prone areas be rigorously applied where new houses were being built or old houses were being replaced or extended. It recommended the revision of what were then called urban edge guidelines.

Your Worship, the whole issue of fuel reduction, I suspect, will be discussed against that background of reports, predictions and expressions of concern.

The next category of documents is essentially to do with the history of the ACT Emergency Services Bureau and the organisational structure. The documents which are in the brief in relation to that at the moment are essentially for historical understanding of the way in which the ESB developed. The material will of course refer to issues which will become much more significant in the second phase of this hearing.

The other material is concerned with zoning for bushfire hazards and within the Canberra suburban area, suburbs which are gazetted as being potential fire risks or to be affected by fires, and also the next section of the material concerns resources in areas of responsibility, and again I won't go into detail in relation to that at this stage of this proceedings.

Also, the next category of material is material

from the weather bureau, and there will be evidence to be given by the weather bureau. What's in the material is the submission of the bureau which was provided on 25 August of this year, in the form of a submission. The document describes in detail the manner in which the bureau operates during a fire season and the nature of the information it obtains and disseminates. The submission covers a description of the procedures followed by the Canberra Meteorological Office, which is, I think, known to those within as the CMO, in providing routine weather fire services and the way in which those are distributed.

The submission of the bureau will be supplemented by the evidence of three witnesses, each of whom are meteorologists. The first witness, Mr Rob Webb, in fact comes from the rural forecasting centre, I think it's called, in New South Wales, and Mr Davis and Mr Mason are both meteorologists here in Canberra.

The written submission refers of course to the antecedent weather conditions in 2002 and 2003 and describes a period which I've already referred to of very low rainfall and above average temperatures. The submission also describes in detail the operational aspects of forecasting. Much of that material we suspect will not be in contention.

One thing that's clear from the material - it's a matter for you, of course, in reviewing it for this purpose - is that by 14 or 15 January, as I've already said, it was apparent that Friday, 17 January and Saturday, 18 January, weather-wise, were going to be particularly difficult days and days when at least a combination of very low relative humidity, very high temperature and north-westerly winds were going to prevail - those endeavouring to deal with the fires that were burning in the region having almost overwhelming problems.

The next section deals with lightning strikes and, as I've already said, part of your role as the Coroner is to determine the cause and origin of the fires which are being examined.  
5 It's unlikely that this is contentious.  
There's nothing in the material suggesting that any of these fires were commenced by human intervention, at least that I'm aware of at this stage. Indeed, if that were to change,  
10 your Worship, I will announce it almost automatically and immediately.

The material in relation to lightning strikes comes from two sources - from the group known  
15 as Katton, which is able to observe and record lightning data. The material from Mr Prendergast can be found in folder 11 of the brief. He's provided a written report which sets out data consistent with the conclusion  
20 that I've already referred to as to what occurred on 8 January, 2003. And indeed amongst the material that you'll see on this rather magnificent screen is a map of the lightning strikes not only in this area but  
25 throughout the south-eastern Australian region, New South Wales and extending into Victoria.

Also in that material is the statement of a Mr Brett Finn, who was the duty lookout at Mount  
30 Coree in the Brindabella National Park to the west of Canberra. His statement, which may or may not be able to be supplemented by evidence, because I think we've had difficulty locating him, indicates that he saw at least two columns  
35 of smoke about 10 or 15 minutes after he'd seen lightning flashes, and his log radio transmissions seem to indicate that what he saw was smoke in the vicinity of McIntyre's Hut -  
40 one of the places.

Central to this phase of the inquest and inquiry will be the evidence of Mr Phillip  
45 Cheney. He is the senior principal research scientist with the CSIRO and project leader in the section of the CSIRO dealing with bushfire

behaviour and management. He holds a Diploma  
in Forestry and Bachelor of Science in Forestry  
from the University of Melbourne. He is, we  
suggest, the pre-eminent expert in Australia on  
5 fire behaviour. His work concerns research  
into bushfire behaviour to understand how fires  
spread in their natural environment and the  
development of models to predict the behaviour  
of important fuel types. He's researched and  
10 is researching fire meteorology and researching  
management systems using knowledge of fire  
behaviour to develop improved and safer  
bushfire management. Since these fires  
occurred in January, Mr Cheney has been  
15 committing a substantial amount of his time to  
developing an analysis which you'll see of the  
way in which these fires started and the way in  
which they spread. It will include a number of  
technological aids which will, in effect, map  
20 the fires and will, we hope, fundamentally  
fulfil one of the purposes of this opening  
phase of the inquest.

He will also provide expert comment on the  
25 manner in which the fires were responded to at  
the time and the way in which they were dealt  
with at various stages of their development.  
His evidence will be detailed and, as you would  
realise, much of the summary that I've outlined  
30 to you, your Worship, has been based on that  
evidence.

Another important area to examine is the fire  
effects in the urban interface, and again the  
35 CSIRO has provided us with expert evidence  
about this in the form of Mr Peter Ellis. He  
prepared an assessment of the ACT suburban  
house losses from these fires and will give  
evidence during the course of this phase of the  
40 hearings. For his purposes, he examined  
something of the order of 779 suburban houses  
in Canberra, including damaged and destroyed  
houses and some of the adjacent houses. Some  
houses were significantly damaged by wind, for  
45 example, in Kambah.

His survey of the houses that he looked at indicated that of the 779 houses, 381 were categorised as destroyed, 63 were damaged, 317 were undamaged, although they had some damage to garden, fence or external structures. Of course the area that he concentrated on was the suburb of Duffy.

What he was interested to examine was the cause of these house losses. As I understand the evidence, not one house was lost by the direct radiant heat of the fire. In every case, houses were lost either by embers igniting the houses or gardens or adjoining structures, or from a fire spreading from another house. It may indicate that, in circumstances such as this, those houses that were close to the fire front were often destroyed. Those that were able to be defended, subject to water pressure or other assistance of that kind, were able to be defended. That will remain to be seen, but the primary causes for house destruction or damage appeared to be apart from embers spreading from house to house, ignition from fire-prone gardens and other structures, damage to gas mains and also from houses with cypress pines, which are apparently particularly flammable.

Complaints of course were made by residents, which is perhaps almost inevitable in circumstances such as this, about a lack of water pressure, and that may also be something that needs to be examined in the course of these hearings and become the subject of comment and/or recommendation.

The remaining two categories, your Worship, are in relation to the financial impact, and I've already outlined those details. They're the product of the research of a member of the AFP investigation team, which was established under the leadership of Sergeant Therese Barncourt after these fires to connect these inquiries.

Constable Judy Goldsmith has researched the costs and her statement sets out the details of the figures I've already outlined to you. It appears in folder 11 and has a number of  
5 attachments which summarise the fire damage, and again the quantity of damage is obviously a matter of significant interest and may in several respects not be imprecise and also not particularly contentious.

10 Finally, there is also a report in relation to the injuries which were inflicted on various people as a result of these fires, and I've already referred to those.

15 Your Worship, that broadly concludes the summary and opening that I wish to offer the court. We will proceed shortly with the evidence of the Bureau of Meteorology and, at  
20 the end of this phase of hearings, perhaps I should say we propose to present to you all the evidence in relation to the inquest into the four deaths which occurred and we expect to invite your Worship to make findings in  
25 relation to those deaths in a sense on a preliminary basis so that at least for the families of those people the matter will be brought to a conclusion for their benefit. If your Worship pleases.

30 THE CORONER: Yes, thank you.

MR LASRY: The first witness --

35 THE CORONER: I thank you, Mr Lasry, for that introduction. I found it very useful, very informative. I hope counsel also found it so and members of the public.

40 MR LASRY: If your Worship pleases. Your Worship, the first witness is a Mr Webb from the weather bureau, and I know he needs a few minutes to come to grips with the technology and I wonder whether your Worship might --  
45

THE CORONER: We might take a morning adjournment.

5 MR BEGBIE: I wonder if I might say a few things. The first is, with respect, to seek your Worship's leave for myself to come and go a little bit during the proceedings because a number of these witnesses and a number of the areas of evidence won't directly concern my  
10 client. The second is that your Worship asked at an early stage in a directions hearing whether I represented the Chief Police Officer, Mr Murray, and I said - I cleared that up for your Worship, so I now indicate that with your  
15 Worship's leave, I will so appear for Mr Murray.

THE CORONER: Thank you, Mr Begbie. You certainly do have my permission to come and go, and that goes for all counsel. If you do feel  
20 that there is a part of the inquest that is not particularly relevant to your client's interests, then please feel free to attend those sessions and those witnesses that you  
25 wish to, and you're certainly excused from not being here for those witnesses who you feel are perhaps not relevant to your interests. But you certainly have that permission, Mr Begbie.

30 MR BEGBIE: Thank you.

THE CORONER: So you also represent Mr Murray, thank you.

35 MR STITT: Might I also announce my appearance with my learned junior, Mr Andrew Coleman, your Worship.

40 THE CORONER: Thank you, Mr Stitt.

MR JOHNSON: Thank you, your Worship. If I could formally indicate that in this matter I'll be appearing for the Territory as senior  
45 counsel. My name is Peter Johnson. I think on prior occasions there have been several counsel

solicitors appearing. If I could indicate for the record that from here on I'll be the senior counsel for the Territory.

5 THE CORONER: Thank you, Mr Johnson. All right. Thank you. We'll adjourn and resume about 11.25 or so. Thank you.

10 ADJOURNED [11.06am]

RESUMED [11.33am]

15 MR LASRY: If your Worship please, we call Mr Webb, please.

<MR ROBERT MATTHEW WEBB, SWORN

20 <EXAMINATION-IN-CHIEF BY MR LASRY

Q. Would you tell the court your full name and professional address, please?

25 A. Robert Matthew Webb, 300 Elizabeth Street, Sydney, Bureau of Meteorology.

Q. Are you a senior severe weather meteorologist with the Bureau of Meteorology?

A. I am.

30 Q. And are you ordinarily stationed in New South Wales, in Sydney?

A. Yes.

35 Q. And were you on duty in that capacity at least between the dates of 8 and 18 January this year at various times?

A. At various times, yes.

40 Q. Can you just describe briefly the role that you have in the Sydney bureau office and the way it interacts with the Canberra office, and perhaps before you describe the role, in Canberra there's a local meteorological office and there's obviously interaction between the  
45 two because effectively the ACT is part of New

South Wales for weather purposes anyway. Just describe how that works.

5 A. My role as senior severe weather meteorologist is I head up a specialist section within the New South Wales region known as the Sydney weather section. Our responsibility is severe thunderstorm warning services and bushfire warning services in New South Wales. As far as our relationship with the Australian  
10 Capital Territory goes, I liaise with the officer in charge of the Canberra Meteorological Office on the formats of the way we deliver the service as well as interacting with individual forecasters on a day-by-day  
15 basis to ascertain general weather conditions.

Q. During a period such as occurred between 8 and 18 January, there's obviously a regular liaison between your office and the Canberra  
20 office and also between both of those offices and the fire services; is that correct?

A. That's correct.

Q. And as a matter of course, where advice is  
25 given to the fire services over the telephone, either by your office or the Canberra office, are ordinarily those conversations tape-recorded?

30 A. The key phones within the office which involve the senior forecasting within the office and the severe weather operational phone, those phone calls are recorded, as are the phones within the Canberra Meteorological Office, I believe.

35 Q. Your Worship, just in relation to that, we have been provided I think at the end of last week with a CD which I think contains all the relevant conversations during this period. Not  
40 all of them are particularly significant. A lot of them are procedural type phone calls and there are some conversations where there are briefings to, for example, the New South Wales Rural Fire Service on weather conditions and so  
45 on - all conversations about substantial issues

between this witness, for example, and weather bureau staff in Canberra.

5 What we will do is make available to the parties all of these conversations and endeavour to pick out the significant ones and play them once we've gone through that sifting process. But they're not available to the parties yet, but they will be in the next day or so. I might say apart from the fact that 10 the conversations make it clear that, among others, Saturday, the 18th was going to be a particularly bad day, I'm not sure that there's not much else in them that's contentious.

15 Mr Webb, you heard what I said to her Worship about that. From time to time between the 8th and 18th January you were involved in discussing the weather with a view to the fires that were prevailing?

20 A. That's right.

Q. With various people?

25 A. That's right.

Q. And in particular from Sydney, you provided briefings by way of conference phone calls to the senior personnel within New South Wales Parks and New South Wales Rural Fire Service; is that correct?

30 A. Generally the briefings are to, in the first place, the New South Wales Rural Fire Service, which is the coordinating body, and at different times briefings - other interested fire agencies would take place in those briefings.

Q. And we can listen to the conversations subsequently, but broadly they are a briefing about the expected weather over a particular outlook period?

40 A. That's right. Normally out to three and four days depending on the situation. We may be able to go a little bit further, depending on 45 the weather situations.

Q. Now, I outlined during the course of the opening reference to a couple of indexes that are used which are used within the weather bureau as well, are they not - the KBDI, the Keetch-Byram index, and also the McArthur fire index. Are you familiar with both of those?  
5 A. I'm familiar with those.

10 Q. Would you just describe each of them more accurately than I was able to.

A. The Keetch-Byram drought index - both of these indices are used with services held in conjunction closely with the New South Wales and ACT fire authorities. The Keetch-Byram drought index has been - they requested that we use that to ascertain the level of dryness or soil dryness over a particular area. We use that particular index, soil dryness, to be input into fire danger ratings. The bureau's responsibility is to provide the public with conditions - warn the public of conditions that may give rise to bushfires and we do that via - in close consultation with the fire agencies and using such a thing called a fire danger index, which incorporates fuel state, humidity, wind speed and temperature.  
15  
20  
25

Q. Am I right in saying that the Keetch-Byram index is an index which is designed to basically give information about the dryness of the soil and thus to get some information about the dryness of fuel that might be caught up in a bushfire?  
30

A. The Keetch-Byram is the theoretical - the Keetch-Byram drought index is the theoretical amount of rain required to bring the upper levels of the soil to saturation.  
35

Q. Is it also correct that anything over 100, that is theoretically 100 millimetres of rain, which would be required to bring the soil to saturation, is regarded as extreme?  
40

A. That's the levels - the terminology that I believe is used, yes.  
45

Q. And as to the fire danger index, just give us an idea of the way in which that's -

5 A. The fire danger index within the presentation that I will give - I will explain that in a little more detail, but there are five different levels of rating that we give, starting low, moderate, high, very high and extreme, depending on numbers. 50 is the level  
10 of extreme. That's the level in conjunction with fire that the bureau must issue a fire weather warning. That is expected, but there is discretion below that.

15 Q. And just on that, that's within the weather bureau's activities - the decisions on total fire bans, for example, that's within the jurisdiction of the emergency services?

20 A. That's right.

Q. They make a decision about that based, among other things, on the information they get from you?

25 A. That's right.

Q. I think - and we'll come back to this, as I already said - there were a couple of occasions on which you provided briefings to the New South Wales Rural Fire Service and I think the one which contained a discussion about the outlook for 18 January was one which occurred in the early afternoon of 15 January; does that accord with your recollection?

30 A. Yes.

35 Q. For the purpose of this inquiry and inquest, the bureau has put together a very detailed submission, which is in the material. Did you play any part in the assembly of the material, in putting this document together?

40 A. I did. I provided the preliminary meteorological advice within that assessment of the conditions between the day of ignition on the 8th and the 18th and subsequent days.

45

Q. And we can read the material for ourselves. In a sense, you've attached to it some of the contemporary documents, particular forecasts and various other documents which  
5 were provided by way of information as the fires progressed during that 10-day period. But have you also prepared something that's perhaps a bit easier to follow by way of Powerpoint presentation?

10 A. I have.

Q. And what's the relationship between the Powerpoint presentation and this document?

15 A. The Powerpoint presentation aims to provide a summary of the document from a meteorological perspective, the weather conditions only, looking at the antecedent conditions in the years leading up to this event, as well as any detail of the individual  
20 characteristics of the meteorological setting.

One thing in addition is that we make some more comment within the Powerpoint presentation about the smoke, and our meteorological radar  
25 at Captains Flat to the east of the ACT, it gives an indication of the development of the smokescreen above Canberra on the 18th. I have some information on that as well.

30 Q. All right. Thank you. Perhaps I'll ask you to start that presentation. Your Worship, the way we thought we would do this is, if your Worship is happy with this, for Mr Webb to stand. We have a magic pointer which he can use  
35 to adjust the presentation as it goes. I might ask some questions along the way, but if that's suitable, your Worship, that would be explanatory of the written material, and as you can see, it's already loaded on to the  
40 material. The parties won't have this presentation in electronic format. What they have at the moment is the original submission of August. But we'll also make copies of this available as well.

45

THE CORONER: That submission is in volume 10 of the materials?

MR LASRY: That's right, your Worship, yes.

5

Q. Mr Webb, with her Worship's permission, if you want to leave the witness box so that you can use the pointer, and perhaps we'll leave it to you to take us through the slides. Can your Worship see that screen?

10

THE CORONER: Yes, I can, thank you, Mr Lasry.

MR LASRY: I might sit down unless I have a question to ask.

15

A. I apologise at the outset for using a pointer. It's a bit new and fancy for me to use.

20

MR LASRY: Before you start, can I just give you one bit of advice as a witness. If you could raise your voice a little so that everybody can hear and just slow down just a fraction, that would be helpful, particularly for the lady who has to write it all down for us.

25

A. This summary of the meteorological aspects of the January 2003 bushfires was prepared over the last couple of months, since the bushfires. We analyse documents and information both that were available before the bushfires and that became available after the bushfires as well. So not all the information was actually available at the time that the bushfires were breaking out. I have to make that point at the outset. But as with any meteorological study, we tend to analyse things very closely and far more closely after the event than we ever can during the event.

30

35

40

The outline of what I will talk about today is the antecedent conditions, meaning the conditions leading up to January 2003. I will focus on the weather conditions on 8 January and as well 9 to 16 January, and in some detail look at the weather conditions on 17 and 18th,

45

including local factors that may influence the weather. These include the local topography as well as the actual fire itself, the rapid development of a large plume or typical fire, and I will go into the development of that plume. Also looking at intense local winds, the vortex or tornado, or whatever it would be called, that occurred, and in a very close analysis of our radar data afterwards we may have found some information of interest.

So the antecedent conditions - sorry, I might get you to go back one. The two-year rainfall for the years 2001 and 2002 is demonstrated by this map here. This map is what we call a decile map. Deciles are one way that the Bureau of Meteorology can display how particular rainfall amounts compare to average.

The way to explain deciles is they are essentially tenths. We take all the data that we have for a two-year period over all our stations around New South Wales and we line them up. We then group them into ten groups. If we had 100 data elements, the lowest ten would fit into the first decile or the lowest 10% of records. The highest ten would fit into that top decile. On this map here you will see a number of colours. Along the scale we have the dark red, being the lowest ever record on record. I might get you to go up again. As we go through into the pink, we have very much below average, and going through up into the blue, the highest on record.

In this two-year period 2001/2002, we see a large area of what we call decile 1 or rainfall in the lowest 10% of all records. That 10% or decile 1 value is approaching into the western edge of Canberra, indicating that that rainfall in that area was in the lowest 10% of all records, with a number of portions over the north-west of New South Wales actually receiving their lowest rainfall on record for that period.

As we go into the actual year 2002, the January  
to December period, we see the area of 10% or  
very dry conditions, very much below average  
5 conditions, still extending over much of New  
South Wales. The ACT itself is actually in the  
lowest 20% to 30% of record, but still defined  
as what we define as below average rainfall. I  
might add that these charts are produced by our  
10 National Climate Centre in Melbourne. They're  
not actually produced by myself.

Coming to shorter time frames, the six-month  
rainfall between July and December 2002, again  
15 much of New South Wales in the lowest 10% on  
record. And the lowest on record we're seeing  
over the South Coast of New South Wales, and  
looking up towards the Illawarra area in the  
Southern Highlands, also receiving the lowest  
20 rainfall recordings on record for that  
six-month period. Canberra itself again, or  
the ACT itself, again within that 10% record -  
lowest 10% on record.

Moving into the three-month rainfall, October  
to December, very much the shorter term, we see  
lowest-on-record totals in a strip over central  
western New South Wales, extending from near  
Hungerford and Bourke towards the Wagga  
30 Wagga/Albury area. And again most of the state  
actually still, or at least half the state,  
still receive rainfall in its lowest 10% on  
record. So an extended period of dry  
conditions leading up to this event.

35 One other way to look at the rainfall is via  
what we call accumulated rainfall. There are  
two lines on this screen - one is a dotted line  
called the median or middle value. We would  
40 expect this value to be exceeded on 50% of the  
time, and the rainfall would be less than this  
value on 50% of the time.

45 Just explaining what the median is, the red  
line is the value between March of 2002 and

January of 2003. What we mean by accumulated  
rainfall is that if we concentrate on the  
dotted line, the blue line, the median, in  
March we would typically expect about 40  
5 millimetres of rain during that month. We add  
to that what we would normally expect in April,  
May, June. So gradually, as we accumulate  
rainfall throughout the year, on any normal  
year, we should have accumulated - by the time  
10 we get from March or January, we should be  
around something about 450 millimetres of rain.

Now, looking at what actually happened during  
this period, we had a red line here being the  
15 actual totals, which followed the median or  
relatively normal conditions for that early  
part in the year between March and June. The  
period between June and August, where those two  
lines started to go apart, indicated below  
20 average rainfall, less than average rainfall  
during that period.

We jumped back up during September with some  
rainfall that fell during the month of  
25 September that picked up the accumulated  
rainfall, but from September onwards, we see  
those two lines actually diverge again and in  
fact by January we're sitting about 270  
millimetres accumulated rainfall and the actual  
30 average was somewhere around 470. So very much  
below average in that respect.

There was a lot of talk as to how this  
particular drought that Australia had been  
35 experiencing or long-term area time of rainfall  
deficiency, how this compared to previous  
droughts. The National Climate Centre in  
Melbourne looked at all 10-month periods within  
Australia - all 10-month periods over a period  
40 - excuse me, I'll just get some water. They  
looked at all the 10-month periods and found  
out the per cent of Australia in this column  
that was actually below the 10th percentile,  
how much of the aerial extent of Australia that  
45

records. Ranked number one there is the  
so-called federation drought, the period  
between November 1901 and August 1902 when  
61.2% of the country actually had rainfall in  
5 the lowest 10% on record.

March 2002 to December 2002 actually ranked  
second for this 10-month period. We could take  
any period of say, 11 months, 7 months,  
10 depending, but I've just used this to highlight  
the period leading up to these fires.

You'll see that most of the reports from this  
top 10 are actually for that federation drought  
15 - number 1, number 4, number 5, number 6,  
number 8 and number 10, all for that 1901 to  
1902 period. Two of them are for the period of  
this recent rainfall deficient time, during  
2002 and into early 2003, and there is one here  
20 for the 1982/1983 drought, another famous  
drought in Australia's history.

Another way that we assess or another important  
factor to look at leading up to a fire season  
25 is the maximum temperature anomalies. All  
we're doing here is comparing the average  
maximum temperature in a particular month or  
during a particular period with what we would  
normally expect the maximum temperatures to be.  
30 So for the period October to December 2002, the  
area over the south-east of New South Wales,  
around the ACT, had an average maximum  
temperature some 2 to 3 degrees above average.  
This is what I would term a large number,  
35 considering that for that three-month period,  
more than 80 or 90 days, on average we've had  
two to three degrees above what they would  
normally expect in that part of the world. I  
can split it up now into individual months. We  
40 can go into October, where over the ACT area,  
some 2 degrees above average for that month,  
their maximum temperature.

Moving through to November, a massive increase  
45 in that maximum temperature anomaly. Canberra

itself, Canberra Airport, was some five degrees above on average each day, five degrees above the maximum temperature.

5 Moving into December, when you compare it to  
November, it looks like things have backed off,  
and it's true that they are less anomalously  
warm. But in December, over the ACT, there was  
10 still some two degrees above average maximum  
temperature. Moving into January, continuing  
warm conditions with two to three degrees, so  
that's above the normal maximum temperature, so  
an extended period of warm conditions, coupled  
15 with extended periods of unusually dry  
conditions.

I already have mentioned the Keetch-Byram  
drought index and explained it. But  
20 essentially to recap, it's the method by which  
fire agencies have asked that the fuel state be  
assessed and incorporated into our fire danger  
meters. I'm holding up here a fire danger  
meter, which I'll show in one of my slides.  
25 That has been supplied by the fire agencies,  
and from what I understand the way it is used,  
from that they can ascertain between a drought  
- the fuel state and certain weather elements,  
a fire danger.

30 I'll go into this again, at least the weather  
inputs into this, but the Keetch-Byram drought  
index is the way by which using this wheel that  
we assess the fuel state. It incorporates  
35 maximum temperature on every day as well as the  
rainfall to 9am on that day, so it compares the  
maximum temperature and the rainfall to produce  
a figure which indicates the theoretical amount  
of rain required to bring the soil to  
40 saturation.

This graph here shows along this axis at the  
bottom, April 2002 through to January 2003, and  
the KBDI, or the Keetch-Byram Drought Index,  
45 along the left-hand axis. The blue dots are  
the monthly median Keetch-Byram Drought Index,

based on the years of record that we have for  
Canberra Airport, showing generally a rising  
Keetch-Byram Drought Index during our warmer  
months, through into December and January, and  
5 a minimum in the Keetch-Byram Drought Index  
during the middle of the year.

What I have plotted along the top of that in  
red is the actual daily Keetch-Byram Drought  
10 Index for 2002/2003, and you can see with the  
rainfall here, during September, this index  
goes up and down with rainfall and temperature.  
On each day it will rise with temperature, but  
as we get rainfall, that index can drop.

15 With rainfall in September, it actually dropped  
down to a low value of zero, but those warm and  
dry conditions through October, November,  
December and January, we see this index rise  
20 very rapidly, and seemingly far more rapidly  
than the normal value you would normally  
expect.

The forest fire danger index I had discussed a  
25 little earlier. It's the way by which the fire  
agencies have asked the bureau to assess the  
degree of flammability or the difficulty of  
suppression or wild fires and, from our input  
into this, simply the weather conditions. We're  
30 forecasting the weather conditions that go into  
forest fire danger index. It incorporates the  
fuel state, it incorporates the temperature,  
the relative humidity and wind speed. It  
doesn't directly incorporate the Keetch-Byram  
35 Drought Index, but it uses another factor known  
as the drought factor, which is calculated  
using the Keetch-Byram Drought Index.

This is just a scanned-in version of the meter  
40 I was holding up. So depending on the  
different wheels that are used by a fire  
agency, from that they can assess down here  
using the drought conditions or the fuel safe  
conditions and on to that relative humidity,  
45 temperature, wind speed, and lining up those

meters can produce a fire danger rating.

5 From the Bureau of Meteorology's point of view,  
we're forecasting such things as relative  
humidity, air temperature and wind speed, and  
using automatic computer programs, producing  
fire danger ratings for the fire agencies on a  
daily basis.

10 It's a good moment to point out that the wind  
speed we use here is in kilometres per hour and  
is actually the 10-minute average. There is  
some variability around a mean speed. We input  
a 10-minute average wind speed into that and  
15 local gusts and lulls can be much greater and  
less than the average wind speed. So it's over  
a 10-minute period that we are trying to  
forecast the wind as well as sample the wind  
using our automatic weather stations.

20 The reason I went into the forest fire danger  
rating - I went back and compared for each  
season the number of days at Canberra Airport,  
which is one of the official bureau recording  
25 sights within the ACT, the number of days that  
the forest fire danger rating reached the  
extreme level. On an index of 0 to 100, 50 is  
the extreme level, so we can see each season  
here in '94/'95, there were two days where  
30 extreme fire danger was measured. And as we go  
through the years, a number of years, '95/'96  
and the years leading up to 2002/2003, there  
were none from our Canberra Airport  
meteorological station - no observations that  
35 reached extreme.

But some years, such as 1997/1998, we see 10  
days there where the fire danger reached  
extreme and this recent season in 2002/2003,  
40 nine days where we reached extreme. This is at  
Canberra Airport.

I'd like now to go on to the meteorological  
conditions between 8 and 18 January. Most of  
45 the analysis that we did was based on a

Canberra Airport meteorological - automatic weather station. Now, in trying to ascertain the weather conditions near where the fires were burning, it is very difficult for us to know exactly what was happening, and we can't know for certain what was happening but we have to make do with the closest observations that we do have, and that being Canberra Airport. Another observation site that we do have is at Tuggeranong, and another observation to the south-west at Cabrumurra.

Just giving you an idea on this map of the automatic weather stations that are available around the ACT, we can see Canberra Airport in the north there, Tuggeranong a little bit further south from there, Wagga Wagga is the first station to the west of the ACT, due west of the ACT, and then we have Cabrumurra down here to the south-west of the ACT, which at times I have used in my assessment to try to understand what was happening at higher elevations to the west. It's important to remember when we are analysing meteorological conditions that the wind speed and direction can vary with height as we step up in the atmosphere from Canberra Airport, which is somewhere at around 580 metres above sea level, up to the mountain ranges to the west, which might be up towards 1,200 to 1,400 metres. We can see marked changes in wind speed, wind direction and as well as temperature. The temperature conditions generally tend to drop off somewhere between 0.8 to 1 degree for every 100 metres you go up in elevation, as a general rule, during the day.

The way I have structured this presentation is to show a weather map on each day. On most days it would be the 11am - 10am to 11am weather map on each of these days and just a general summary, a broad summary, of the weather conditions that were experienced either at Canberra Airport, with some inferences for what might have been happening further west, as well

as temperature maximum on each day, a relative humidity, which is the measure of moisture in the atmosphere, 100% being a fully saturated atmosphere, and it drops down as the relative humidity drops, hence how dry the atmosphere is, as well as the fire danger maximum. The fire danger maximum doesn't necessarily tell you the conditions that were experienced for the whole afternoon. It just tells you the highest 10-minute period that we reported at Canberra Airport, the highest fire danger, so there is great variation in the fire danger as the afternoon does progress.

So on 8 January we had a frontal system on these maps. For those of you who haven't used weather maps before, we have high pressure systems and low pressure systems, and associated with them these lines with arrows on them are designated cold fronts, dotted lines are troughs or areas of relatively low pressure. So over the south-east of Australia we see a frontal system and a trough system in that area. Now, that system there developed thunderstorms during the morning in fact, and they continued over the south-east and the ACT area with associated lightning. Generally the winds on 8 January were averaging 30 to 40 kilometres per hour.

Now, the wind gusts on top of that could have been much higher. Generally over smooth surfaces we think that gust factor would be somewhere in the order of 40% higher at times, whereas over land we may see wind gusts even greater than that, sometimes 50, 60, 70% higher than those average wind speeds, but remembering that the input into the fire danger meters are the 10-minute average wind speed. There was an easterly wind change over the Canberra area at about 7pm that moved through the ACT. This will become a fairly common occurrence over the ensuing 10 days that the easterly or south-easterly or north-easterly wind surge moves through the average. Maximum temperature

34 degrees on this day, relative humidity minimum of 13 and the fire danger maximum reached 52 extreme.

5 This map here is the satellite picture. The satellite sits many, many thousands of kilometres above the earth. It looks down and takes a photo at a certain time - in this case somewhere near 2pm on 8 January. Explaining  
10 what the individual - what we see in green, the different place names, the magenta outline is state borders and territory borders, and these white fluffy clouds, I call them white fluffy clouds, are large convective type thunderstorm  
15 clouds that we associate on satellite images with shower and thunderstorm activity.

I want to step through two hours and just watching this area of cloud mass down towards  
20 the south-west of the ACT, stepping through, that activity has moved towards the east of the ACT, and although it's not telling us the rainfall out the bottom of these, not telling us any idea of how much lightning there was,  
25 it's giving us a feel for what the conditions were like from above.

The forest fire danger index taken at Canberra Airport on 8 January, on this particular slide  
30 I split it up just to give you an idea of where each of the gradations within the fire danger index lies, so we have low, moderate, high, very high and extreme. And for much of the afternoon on 8 January, from approximately on  
35 this edge of the scale here just prior to midday, we're in the very high fire danger range, and for a very short period it reached 52 extreme, and that coincided with an actual shower, moving across Canberra Airport,  
40 associated with showers. Sometimes we had an increase in wind speed and that tipped the fire danger index into the extreme level but for much of the afternoon we were in the high end of the very high fire danger rating.

45

On 9 January, the winds tended to drop off, the frontal system that was over the south-east of the continent moved further east into the Tasman Sea and the large high pressure system which we generally associate with relatively light winds started to become the dominating factor over the Canberra - over the south-east of New South Wales. I might add, at the end of this I will show you a combination of the weather conditions for the entire period, so it can be compared - so the individual weather conditions can be compared. But generally we had winds that were generally light north-west to south-westerly winds but there was an easterly wind surge in the late afternoon that moved over the area. The temperature maximum was much cooler than the previous day, at 26 degrees. The relative humidity minimum still very dry at 14%, given that the winds were still generally light north-west to south west, blowing off a dry air mass or dry - not much moisture source to the west. The fire danger maximum reached into the very high range.

Coming into 10 January, on the synoptic chart we see the high pressure system moving down towards Bass Strait, between Tasmania and Victoria. Generally light variable winds were reported at Canberra Airport. But likely using the Cabrumurra observation, we suspect there was likely to be a light westerly wind over the higher ground in western parts of the ACT. We can't be certain of that, but based on the conditions and Cabrumurra being at a high elevation of 1,400 metres, we feel that it's likely that there was westerly over the higher ground, and another easterly wind surge moved through the Canberra area mid-afternoon.

Maximum temperature of only 25 degrees, but the relative humidity minimum of 26%. So the relative humidity, the actual minimum isn't as low as it had been on the previous two days, and the fire danger maximum reached 17 high.

45

Moving through to 11 January, if we look at this high pressure system here, centred over Tasmania, generally as a general rule for the low-level conditions or mean sea level  
5 conditions, we expect the winds to be following these ice bars as a general rule anti-clockwise around the high pressure systems and clockwise around the low pressure systems. When the  
10 lines are close together it generally infers that the wind speed will be stronger than when the lines are further apart, as in the centre of the high. So the general meteorological regime over the ACT was an easterly - an east to south-easterly winds but quite fresh, 30 to  
15 40 kilometres per hour winds in the afternoon. This was in fact the maximum temperature, 23 degrees Celsius was the lowest maximum in the period. The relative humidity minimum was at 38% and the fire danger maximum was still high,  
20 but a value of 15 high.

THE CORONER: Mr Webb, you had a note there on the bottom that said coolest day in period. Is that for that period, the 8th to the 18th?  
25 A. That's right, your Worship. On 12 January, east to south-easterly winds weren't quite as strong as they were on the 11th and generally 20 to 30 kilometres per hour for much of the day. Temperature maximum slightly  
30 warmer than the previous day's 23 degrees, it reached 24 Celsius, and the relative humidity minimum started to drop off again to 33%, fire danger maximum at 17 high.

35 On to the 13th, we see the high pressure system is looking further towards the east and another frontal system moving in to the western part of New South Wales. Generally ahead of these frontal systems at least at elevation we see  
40 the wind start to turn around to the north-west, but over the lower elevations around Canberra, south-east to north-easterly winds predominated at a relatively light 15 to  
45 20 kilometres an hour with a north-easterly wind surge at 20 to 25 10-minute average winds

extending through in the early evening.

5 The wind in the western parts of the ACT may  
have turned light west-north-west. Certainly at  
Cabrumurra it suggests the winds did turn to  
the west-north-west but they were only very  
light. The temperature maximum on a warming  
trend of 27 degrees, the relative humidity  
10 minimum at 28% and the fire danger maximum at  
20 high.

Stepping through to 14 January now, the wind  
over the ACT became south-west to  
15 north-westerly again, so we lost the easterly  
influence and we were back to albeit light  
south-west to north-westerly winds of 10 to 15  
kilometres per hour in the afternoon, but there  
was another easterly surge coming in from  
coastal areas. Sometimes it was in the case of  
20 a frontal system moving in from the east.  
Other times it was in the form of the sea  
breeze, which sometimes - or at least a front -  
generated by the sea breeze and made it into  
the ACT area. The temperature maximum was 29  
25 degrees. The relative humidity minimum 23%,  
and the fire danger maximum at 21 high.

Over the 15th January, east to north-easterly  
winds predominated. We had a dominant high  
30 sitting over in the Tasman Sea and a broad  
trough of low pressure to the west of the ACT.  
East to north-easterly winds 15 to 20  
kilometres an hour. They increased, another  
surge in the afternoon, to 30 kilometres per  
35 hour, but the wind in the western part of the  
ACT is likely to have been a west to  
north-westerly, up probably to about 20  
kilometres per hour but we just don't know for  
certain exactly what was happening out there,  
40 particularly given the vastness of this  
particular data network. Temperature maximum  
of 29 degrees again. Relative humidity minimum  
wasn't quite as low, 29%, given the winds  
dominating over the area on 15 January.

45

From now on, 16th, 17th and 18th, we see a gradual deterioration in the meteorological conditions from a fire weather point of view. On 16 January, a north-easterly wind at first but it was replaced by upper level north-westerly winds in the afternoon. The normal course or cycle of winds in an area is generally to be relatively light winds in the morning and as we get heating during the day we get what's called convective mixing. We get bubbles of hot air heated by the land being thrown up into the atmosphere and turbulent mixing, bringing down upper level winds which predominantly in this part of the world are from the north-west. So as the temperature is increasing and the temperature maximum on this day was 33 degrees, the north-westerly wind developed during the day. It reached 20 to 25 kilometres per hour at times in Canberra. And there was another north-easterly wind shift a bit later this time, after 8pm. so the north-easterly wind shifts are generally cooling the temperature down and increasing the humidity levels as they move into the area. Fire danger maximum reached a very high range of 35.

On 17 January, the north-westerly winds increased even further, up to 30 to 35 kilometres per hour during that day. They possibly reached as high as 35 to 45 average winds, at higher areas in the west. I can't be certain, but using the Cabrumurra station, it seems to have picked up to those time speeds and it's quite possible that the higher elevation areas in the western parts of the ACT were affected by those kind of strengths. At Canberra Airport, the temperature maximum of 36 degrees, the relative humidity minimum down to 15%, and the fire danger maximum at 54 extreme.

In a bit more detail, this graph here has two coloured lines on it, one being a blue line indicating the wind direction at Canberra Airport based on 10-minute averages, the red

line being the wind speed. The scale at the bottom runs from midnight in the very early hours of the morning of the 17th through during the day to midnight on the 17th, and the wind speed being in kilometres per hour along the left-hand axis. Generally in the early hours of the morning we had very - I'll start with the red line - fairly light, at 10 kilometres per hour winds, that actually dropped down to calm at different times overnight. But as we see shortly after sunrise, between 6 and 7, some time in that period, I'm not exactly sure when the sunrise was, but as the temperature rises during the day, we get that thermal or convective mixing and we start seeing winds from above the surface brought down to the surface, and it's quite a dramatic increase here between 9am and 11am. We go from the speed of 10 kilometres per hour, quite rapidly reaching 30 to 35 kilometres per hour. But again you can see that there is large variation in the wind speed during the afternoon. At times it reached as high as 40 kilometres per hour for a period, but it was cycling up and down.

There wasn't on this evening here a very distinct north-easterly wind surge that moved across the area. It wasn't a particularly distinct one. It may have made it into the very eastern edges of the ACT but it didn't actually penetrate inland very far.

Another factor that - the reason I've highlighted the wind direction - one of the things that we see at Canberra Airport is some funneling or modification of the wind direction because of the local topography. It is a very common occurrence that Canberra settles down to somewhere between 280 and 300 or 320 degrees from the north-west - that kind of an angle on our compass. I might add, I didn't clarify the wind direction. When we forecast or observed wind direction, it is the direction from which the wind is blowing, so a north-westerly wind

blows from the north-west.

5 There's not a lot of variation in the wind direction until the wind speed drops off late in the evening and there is much more variation in the wind direction once the wind speeds drop off.

10 The forest fire danger index - that's that five-tiered scale or forest fire danger rating. The red line here is marking the 50 extreme level. This was very low, down in the overnight period, cooler temperatures, and not as much wind speed and humidity levels up. But  
15 as we see here, during the day, this forest fire danger index rises, and for a number of short periods during the afternoon, it reached into the extreme level - not for the entire afternoon but at Canberra Airport at least for  
20 a number of short periods during the afternoon it reached into the extreme level. It was still in the higher range at midnight at the end of the day on the 17th.

25 On the 18th of January, another frontal system approached and a trough system was situated over western parts of New South Wales. The north-westerly winds increased early by about 9 o'clock, I believe, to 30 kilometres per hour.  
30 It increased further after midday to be 30 to 35 kilometres per hour average at Canberra Airport, and they became very erratic in speed during the afternoon. Temperature maximum reached 37 degrees. The relative humidity  
35 minimum reached to a level of 4% late in the afternoon. The fire danger maximum here calculated from our automatic system of 104 extreme, but remembering the actual metre is supposed to be a scale from 0 to 100.

40 That wind speed up on 18 January at Canberra Airport, relatively light, sitting around the low 10 kilometres per hour in the early hours of the morning with a couple of spikes, one  
45 spike at least, that jumped above 10 kilometres

per hour before 4am. The wind speed dropped  
off to calm very briefly, for only a short  
period, and then rose quite quickly. You can  
see, as I mentioned earlier, at about 9 o'clock  
5 we were sitting around 30 kilometres per hour.  
From about here at midday, we see another  
increase in the wind speed up to a point of  
just after 2pm. It's after this time that you  
can see that the wind speed at Canberra Airport  
10 becomes quite erratic, it becomes very erratic  
in nature, including its peak. It reached a  
maximum of somewhere near 50 kilometres an hour  
for a short time, but a short time later the  
lull was around about 30 kilometres per hour.  
15 So there is a great variation in the wind  
speed. I might say these are based on  
10-minute average wind speeds too. So there is  
even variability in that 10-minute average.

20 Another point to note is the drop-off in wind  
speed after 6pm to a relatively low, somewhere  
near 13 to 14 kilometres per hour, before it  
briefly rose again. That rise is the  
development of an easterly wind change that  
25 moved over the ACT that evening, developed in  
the area, and you can see the winds - as the  
temperature cools, we start to lose the effect  
of that upper level mixing of the wind, but  
another feature came through that increased the  
30 wind speed again, which was the easterly  
change.

We can look at the forest fire danger index, as  
I have on other days between 11am and 9pm on  
35 the 18th January, and it's reached into the  
extreme level just after 12 o'clock in the  
afternoon and continued in that extreme level  
until somewhere between 6 and 7pm. So for much  
of the afternoon, the forest fire danger index  
40 was in the extreme level, but you can see that  
there is still some quite large variability in  
that forest fire danger index. It's not a  
matter of saying it was a certain value for the  
entire afternoon. You can see this brief  
45 period here at around 1530 of the forest fire

danger index jumping up to 104, based on 10-minute average winds.

5 Again, there's four lines on this chart. The dotted lines are just place holders that give you an idea of where the 40 degree temperature line might be and the 10% relative humidity line might be. Starting off with the temperature, which is the red line, on 18  
10 January we have a scale again at the bottom which is time, and the temperature and degrees Celsius up the left-hand scale. The red line, you can see for much of the early hours of the morning, the temperature in Canberra was  
15 sitting in the low 20s, low to mid-20s in fact. For a brief period where that spike in wind speed I pointed out a number of slides ago happened, the temperature actually shot back up to 28 degrees Celsius, and then it dropped down  
20 to a minimum somewhere in the low 20s. Once the sun comes up, we see a gradual rise up until the maximum of somewhere near 37 degrees Celsius just after lunchtime.

25 Typically our maximum temperature would be later in the afternoon, but we believe that this particular maximum occurred at 12 o'clock due to the fact that the sheer amount of smoke blocking out a lot of the solar or the sun's  
30 rays, not allowing the temperature to rise any further, and in fact it dropped off gradually through into the late afternoon and we can see a more rapid drop once that easterly change comes through.

35 That was the temperature. Looking at the relative humidity, it was a relatively low value overnight. By midnight we were still  
40 down at 28% and when we look at this night, compared to some of the previous nights when we compare it over the entire week, or 10 days, you'll see the difference between this night and how that compares to what might normally happen. But the maximum reached just before  
45 sunrise, or near sunrise, was somewhere near

45%, but then a rapid drop-off during the morning, and actually by early afternoon, we'd dropped in relative humidity below 10%. This blue line here, an extremely low value, and it maintained those very low values for a long period, right through until the change came through between somewhere near the 7 o'clock mark.

You'll see that there is a further drop after 4 o'clock, a further drop in the relative humidity. It's unclear exactly what caused that. There seems to be a movement of a very dry air mass from western New South Wales that progressively moved east during the day and moved over the ACT area during the afternoon, and this is quite possibly what caused this particularly low relative humidity. That movement of that air mass in the form of what's likely to be some form of a wind change or trough moving over the area, may have had some impacts a little bit later as far as the development of the plumes that I'll show you on our radar.

The other thing we had done was plotted up the forest fire danger index.

THE CORONER: Excuse me, Mr Webb, we might have to have a short break. I think the recording system has developed a bit of a difficulty. We'll just take a short break.

ADJOURNED [12.30pm]

RESUMED

MR LASRY: Before Mr Webb continues, can I just raise one matter. We issued a subpoena to those in charge of the documentation for the McLeod inquiry and, in particular, what we sought were all the submissions that were made to Mr McLeod's inquiry. I gather that the subpoenas were returned today and there should be a copy of the subpoena on the court's

record. I gather the documents have now been produced and I gather they're somewhere downstairs. I wonder if your Worship would order that, in so far as the documents have been produced pursuant to the subpoena, that they be released to us and then we'll make the appropriate arrangements to distribute them to the parties.

10 THE CORONER: Yes, certainly. If the documents have been produced - and I'm sure they have been - you can certainly have access to them and make them available.

15 MR LASRY: Thank you, your Worship.

THE CORONER: I apologise, Mr Webb, for that. I hope we didn't miss too much of what you were saying, but perhaps if you might just repeat just prior to the adjournment, if you would be kind enough to repeat that information.

20 A. I might ask you to go back one slide. I had been talking about the change in the temperature and relative humidity over the Canberra Airport area on the 18th and the next slide, as we move into the following slide, this particular slide shows us the change in forest fire danger index between 8 January and out to 24 January.

30 We can see that high or the extreme fire danger reached for a brief time on the 8th and then there's what I'll call the diurnal cycle, or the cycle of the change in the fire danger index between day and night. We had our peaks during the day when the temperature is normally warmer and the relative humidity lower and generally our wind speeds are higher at that time. So we see the peak day on 8 January, dropping down overnight on the 9th, rising again during the day on the 9th to a point near or just below 30, and then a period between 10 January moving through until about the 15th of what would be - what you could class as relatively benign at Canberra Airport, relative

compared to the peaks at either end.

5 From 16 January onwards, we see this rise in  
forest fire danger index, reaching that maximum  
here on 18 January. An interesting point to  
note in this is the forest fire danger index.  
The night before the main impact on 8 January,  
we can see a much higher minimum, the actual  
amount the forest fire danger index dropped off  
10 overnight was less. It dropped off to a low  
value. Even in the middle of that night we see  
a brief peak in the early hours of the morning  
that coincided with that brief spike in wind,  
and that suggests to me that the actual cool  
15 layer of air associated with this diurnal trend  
was actually very shallow and, in fact, it may  
not have been representative of the conditions  
experienced out at the higher elevations to the  
west of the ACT, but we can't know that for  
20 certain.

This is the extended period or the entire  
period maximum - the temperature, the actual  
temperature read on 10-minute intervals  
25 starting off with a high maximum here on 8  
January and then a much lower maximum on the  
9th, 10th, 11th and 12th and then this general  
warming trend out until the 17th and 18th,  
which were relatively warm days, but again that  
30 minimum temperature overnight, this period  
here, indicating the midnight between the 17th  
and 18th. Those temperatures did not drop down  
as much in the night preceding the main fire  
outbreak on the 18th.

35 Relative humidity will show the opposite -  
generally the opposite diurnal trend where the  
maximum temperature occurs generally during the  
day. The maximum relative humidity will  
40 generally occur overnight, so we have here a  
very dry condition or low relative humidity,  
low moisture, on 8 January, rising up overnight  
briefly reaching almost 70, but for much of the  
night sat somewhere near 60%, and then this  
45 zig-zag or this change between day and night.

I'll move through until the 17th and 18th again. A gradual drop in the minimum relative humidity, but overnight between the 17th and the 18th that relative humidity did not rise as much as you would expect would have occurred on other nights.

Just recapping on the meteorological conditions on 18 January, it's impossible for us to ascertain the exact conditions over the fire grounds. I've said that a number of times because we are using the usual data from Canberra Airport to look at the conditions, and we're using them as being representative but we can't be certain. There were some fire tower observations that we subsequently received in the month following the fires that suggest wind gusts very stronger than those measured at Canberra Airport. The nature of the exposure of those observations is unknown to us. The quality of the instrumentation or the calibration of the instrumentation is unknown to us and we don't know how good they are, but it's important to note that it is quite possible that the winds were in fact stronger than those measured at Canberra Airport.

The local weather conditions - this last point here, the local weather conditions around topography or around western ACT could have been affected by such things as the topography. Local valleys and local hills can greatly alter the local weather conditions experienced at any one particular point. But, importantly, the fire itself can produce changes in the local weather conditions. Certainly from my point of view, it's not something that we know exactly the effect the fire would have, but we can infer some things from some of the observations that we saw.

This was just a summary slide of the first point at least of how the terrain can influence the fire. It can affect - it really can funnel

the wind direction and cause increased wind speed. But fire-induced effects are very difficult to get a handle on. Large fires can cause a large heat source, can cause huge amounts of vertical motion, air going up, ascending air above the fire and, hence, where we get lots of air going up, we can get air coming down in the vicinity of that and very turbulent motion and very, very erratic wind conditions near the fire, and in fact down the wind of the fire.

Large plumes of cloud can form above the fire, known as pyrocumulonimbus. Every now and again you can get plumes on top of fires that can get to the stage where we are getting thunder and lightning and pyrocumulonimbus clouds. There is enough charged separation developed from the ice crystals on the top of the cloud, given that it is well above the freezing level by the time the top of the plume - in some cases by the time you get to the top of the plume.

I make a comment here that we can enhance winds downstream of a large fire mass, we can cause very erratic conditions in the winds downstream. It enhances the amount of turbulent mixing in the lead of that particular fire.

When I talk about convective plume, this is the kind of thing I'm talking about, the photo that was made available to us via the National Parks and Wildlife Service at Tumut, I believe, believed to be approximately 2pm. A large area of smoke, here you can see in the lower levels, but the lighter white cloud at the top indicates that there is moisture or condensation taking place and we actually have cloud formation above that particular plume.

Another example is a photo taken over the ACT. I don't know exactly where this was taken, but this was 18 January - 1546 is the time stamp on the photograph - but this large area of smoke

in the lower elevation areas and lighter white cloud aloft, and for me, I mentioned earlier on specialising in fire weather and severe thunderstorm meteorology, this is the kind of thing where we're looking at photos of severe thunderstorms and photos of thunderstorms, this is the kind of feature that we would be seeing in many of those thunderstorm shots. There have been some anecdotal reports of lightning or thunder at least heard from this particular plume.

What I might ask you to do is flick to the radar loop. To explain the radar, on about or just after 20 December, 22 December 2002, a new weather watch radar was installed to the east of the ACT, near Captains Flat. Now, the radar works by sending out a beam of energy and listening to reflected energy coming back. It has a dish which reads reflected energy coming back. And one thing that we found during the recent fire event was that it does pick up smoke plumes and degrees within smoke plumes and may provide a useful idea of the conditions that were experienced in the shape of the smoke plume.

This particular image is a three-dimensional radar image constructed from our radar data. The radar doesn't just look at one level. Those of you who may be familiar with the Bureau of Meteorology's website it has base scan radar data. That produces a volumetric scan. It gives us an idea of the low-level scans and scans at the top of the atmosphere as well.

I'll just play that through to start with and then step. The loop starts - early on in the loop is about 11am. Towards the east is the radar, that little cavernous hole there is - because the radar can't look up, it doesn't look straight up, it has a finite maximum angle which is about 32 degrees. The green colour is indicative of relatively low elevations or low

altitude returns and, as we get higher and higher, it goes through shades of yellow into shades of brown.

5 The map down the bottom here is the southern tip of the ACT and the northern parts of the ACT extending further, obscured by the actual plume. But we can see this variation in the actual height of the plume. It's not a matter  
10 of a convective plume developing on top of a fire for the whole afternoon. It seems based on this that the plumes certainly weren't there at a huge height for long periods. What I might do is stop that and start again. Just  
15 step through one or two.

This 250 UTC - universal time coordinate or Greenwich Mean Time - is the time stamp on most of our information. That is equivalent to  
20 1.50pm or thereabouts. It takes about approximately six to seven minutes, or thereabouts, for the radar to go from its base standard to the top, after it's rotating around and stepping up scans. And it was at 1.50pm we  
25 see an increase in a plume over the western parts of the ACT. I might get you to do the clicking through there, you might be faster for everybody.

30 So that's a 2pm image and we see a large plume here, picked up by the radar. I might just ask you to flip back to the last Powerpoint slide, and go back up one slide. This photo is actually at 2pm - we're not certain of the time  
35 of this photo, but it may well be a similar plume that we are looking at at this point.

I'll just ask you to flip back to the radar again and just step you through. We can see  
40 that that plume went up and it actually affected - there were upper level westerly winds and it was pushed towards the east, but towards the west now we'll see over the next, if you click through about three scans, further  
45 development over that spot. We're now at about

3.10pm, and there's a plume that has begun to develop over the northern - further north in the ACT, and just step through again and again and again, and that plume starts to develop.  
5 I'll show another depiction of what the radar was seeing in a moment, and just step through again, and this conglomeration.

10 We're now at about 4pm in the afternoon and the plume starts spreading out mainly over the northern parts of the ACT. I'll just get you to play that again. We'll just play that through a couple of times so you can appreciate it. That's just another depiction that in  
15 10-minute intervals we can get a view of the overall picture of what the radar was seeing. It's just picking up the amount of reflected energy back, it looks out and returns what it sees.

20 We might go back through to the presentation again. This is a view from NASA showing at about 2.30pm the activity - just another view of what convective plumes may look like from a  
25 satellite. This is a particularly high resolution picture, and Burrinjuck Dam here, Jervis Bay over towards the eastern parts and the ACT area underneath this area of large fluffy plume-type phenomena.

30 In this case, the images I show you over the next few slides are actually where I've taken a slide somewhere at the 10 to 11 kilometre area in the atmosphere, so we're looking at about 10  
35 or 11 kilometres high and taking a horizontal slice through the atmosphere.

40 We can see the ACT there on the map and certain locations marked - Canberra Airport to the north, Tuggeranong, Tidbinbilla and Corin Dam. And, at about 2.53pm, this is about the time when the radar was getting to that scan. When it took this scan, we see two areas of high reflectivity, reflectivity going from the dark  
45 blue colours and black colours where it's not

getting any reflection through the lighter blues and into yellows when we're getting heavier or more reflectivity.

5 There are a number of large scales on top of this one. When we're talking about large severe thunderstorms, we go right through into reds and pinks, indicating very heavy rainfall, and that's typically what we are using radars  
10 for. We use radars to track showers and thunderstorms and provide the severe thunderstorm warning service. It's not something as a rule that we use to track fires, but they do give us some insight into the  
15 conditions and at least the behaviour of the plumes on the day.

2.53pm - let's step through each slide. By  
20 3.03pm there's a little plume has developed just to the west of Canberra Airport. This is at 10 or 11 kilometres high. There was a lot of smoke activity and activity below this level leading up to this, but I was trying to capture the very - the peak in the plume activity. We  
25 still have two large plumes, one over the southern areas, the central areas, and one starting to develop, at least briefly, at just after 3pm to the west of Canberra Airport. That actual plume has dropped off a little bit.  
30 It's not something that - once the plume is there it doesn't necessarily stay there for the entire afternoon, as I mentioned. They are quite transient. We can see this particular central one being the dominant one in this  
35 case, but out further north, we're starting to see activity develop at the 10 and 11 kilometre high level, high mark.

40 10 minutes later, that area has increased, so we're now at 3.23pm. 3.33pm, this area of reflectivity, whether it be smoke or precipitation, has increased in area quite dramatically over that period. Stepping  
45 through there, 3.43, 3.53, 4.03, and another one, dissipating the actual upper level plume

dissipated and being invected to the east by later on. Can I ask you to go back to the start of that sequence again please.

5 I'll just go through that one more time - the quite incredible explosion, what I can only call an explosion of activity, at elevation. Very rapid development over an area of these ranges here are approximately 25 kilometres  
10 apart so it's a massive area aloft - above this northern part of the ACT. What caused that - there's too many variables that are non-meteorological for me to even come up with an answer.

15 From a meteorological point of view, some things that may have had an effect on this would have been a drop in the relative humidity or very dry conditions moving through the ACT,  
20 that subsequent drop that occurred in Canberra - but we certainly don't know that for certain, and there may have been quite a subtle wind change move through that could have affected things.

25 When we're forecasting thunderstorms, for instance, we're looking for areas where the thunderstorm is more likely to occur, areas of vertical motion favoured in the atmosphere, and  
30 it may have been in this case the passage of a trough, a trough that we saw early on in the piece and on the mean sea level chart, may have moved through the area at about this time with associated vertical motion that could have  
35 assisted the plume to develop. Again, we're not sure for certain that the actual wind change wasn't picked up on any of our network and it may well have been subtle. It might have been something moving from a  
40 north-westerly wind around to a westerly wind or the actual change in direction being quite subtle. But again, given our automatic weather station network, it's tough to know that for certain. What we can see with the radar is  
45 that something has increased that activity.

MR LASRY: Your Worship, I perhaps interrupt Mr Webb at this stage. Would that be a convenient time.

5

THE CORONER: Yes, if that's a natural place to have a break, we'll take the luncheon adjournment. We'll resume at 2 o'clock.

10 ADJOURNED [1.30pm]

RESUMED [2:00pm]

MR LASRY: We recall Mr Webb, your Worship.

15

THE CORONER: You're still under the oath that you took this morning, Mr Webb.

20 THE WITNESS: Good afternoon. Prior to the lunch break, I had been showing you the radar returns at about the 10- or 11-kilometre high mark over the ACT during the afternoon of 18 January. I might just ask that you step through that. By 4.13pm - just before 3, we  
25 saw this explosion in the activity and then it gradually dissipates after 4 o'clock and moves on towards the east.

30 This chart here is another graph I've plotted up where I took the highest point in the smoke plume of the fires west of Canberra. I haven't looked further south, at the rapid change in the height of the fires to the south. It would have made the graph a bit too complicated. I  
35 wanted to concentrate on the area just to the west of Canberra, if I could.

40 At 11am in the morning - these are at each 10 minutes. At 11am in the morning, the general height of the smoke plumes to the west of Canberra was about 4,000 metres, 4 kilometres high. There are a number of gaps here where the radar clouds - we did a volumetric scan, so we didn't have that information.

45

You can see here after about midday, 12  
o'clock, a gradual increase in the height of  
that smoke plume, up to about six kilometres  
high, right through until approximately between  
5 2 and 2.20pm. Then we see another rapid  
increase in the rise of the smoke plume, where  
in fact by 3pm, here we're reaching  
10 kilometres high, and by between 3 and 4, the  
maximum smoke plume height was just below  
10 14,000 metres high. This is the area of the  
development of the convective plume just to the  
west of Canberra over that area in the ACT.

To finish with, I'd like to discuss the intense  
15 wind behaviour that was observed in different  
parts of the ACT as a result of these large  
fires. There were some areas, from what I've  
told, that were damaged not by the fire but by  
purely wind damage, particularly in the suburb  
20 of Chapman - around Chapman and Kambah. One of  
our meteorologists went out in the days  
following this event and did a damage survey.  
Most of the time, our damage surveys are  
actually done to tell the difference within a  
25 severe thunderstorm event, whether it was  
caused by what we term as downbursts or  
straight line winds, or rotation associated  
with a tornado, and the different techniques we  
use to ascertain that depends on the way the  
30 debris is scattered.

So these kind of intense local winds in this  
case may have been caused by downbursts or the  
intense local vortices, which commonly we refer  
35 to as tornadoes.

In the case of downbursts, and in fact  
thunderstorms for that matter, once we get  
precipitation within a convective plume, that  
40 precipitation or rain or ice crystals, whatever  
it may be, when it evaporates, as it falls it  
can cool a layer of air around where that  
evaporation has taken place. That cool layer  
of air becomes relatively dense. We think of  
45 the basic premise that warm air is rising and

cool air is sinking. Cool air sinks, it can hit the ground and spread out radially in all directions.

5 When we're trying to decide whether it's one of these downbursts that causes damage, generally because it's spreading out radially, most of the debris and most of the damage is laid out in the one direction. Most of the damage in  
10 the case of trees are laid out in the one direction - not always, but that's a general rule that we use.

15 The intense local vortices, or tornadoes, there are a number of ways in which these can form and be intensified. Local rotation, or just rotation of an air mass, can be adduced by erratic motion near the fire. We think of the very strong updrafts and vertical motion around  
20 the fire, lots of hot air, air rising, and there's a lot of turbulent motion, so you can get at times this very erratic motion and local rotation that can form local fire balls.

25 There's local terrain effects. The lead effect of slopes as air flows over a slope or around a mountain - you can get different kinds of lead effects that do occur around terrain. There's another thing that can adduce rotation: the  
30 deeper characteristics of the wind profile. When I say the deeper characteristics of the wind profile, I mean the changing wind with height. We may have strong winds above the atmosphere relatively or weaker winds below the  
35 atmosphere so we end up with a discontinuity, or what we call wind sheer, changes in wind with height. That kind of wind sheer can be tipped from a vertical wind sheer to the horizontal and can cause rotation.

40 Now, when we look at the damage, this was actually reproduced by one of the forecasters at the time in the Canberra Meteorological Office around Lincoln Close. If you can see,  
45 there's a number of different symbols on it.

There's arrows, there's red squares and there are black dots. The arrows are indicating fallen trees and the direction in which they fell. We will generally walk around with a map and, as we come across a bit of fallen debris, we'll mark it on the map in the direction in which it fell. So that way, when we get back and plot them on a reasonable map, we can get a feel for if the debris is actually laid over in the one direction. From here you can see quite erratic behaviour in the way that that debris - the trees were laid down. It isn't particularly uniform - most of them pointing towards the north in that area and pointing towards the south in that area, so there is a little bit of variation in that damaged part.

Coupled with that, there are apparently, from what we gather, a few eyewitness reports of this rotation or this rotating column of smoke in the area, and what we've already done is gone back and looked at the low level radar data to see whether we could actually see anything, and over the next - sorry, just go back up one. This was some of the damage, and these photos were taken by James Caust at the Bureau of Meteorology, but trees were either snapped off and, in some cases, uprooted by the force of the wind.

The next thing I did was have a look at the low level radar scan to see whether I could see any hint of it. It's a bit of a long shot to be able to see this kind of information, given how much smoke was actually occurring and particularly in the low levels around Canberra because of the topography. We tend to have a few gaps in our radar data. But, as I step through these, we have Tidbinbilla here, Tuggeranong here and Canberra Airport here at 3.40pm. We'll just step through this one.

The area to keep your eye on is just this part of the world here. As we get to 3.50pm and 4pm, we actually see quite subtly a little area

of what is termed high reflectivity, or high radar returns. As I step through one more, that area of intense reflectivity gives us a position of something that's giving high  
5 reflectivity returns. Most of this is actually smoke. It's smoke particles, at least ash and the like, but there's something here moving relatively uniformly that tracks down towards the east. Could I just ask you to go back up  
10 two slides.

So, as I step through again, I have this area here spawned from high reflectivity and, hence, what we can infer from that is that the radar  
15 is getting better returns from this area. As I step through, we see that extend down towards the south-east.

Now, based on the timing that our discussions  
20 with people and the time that this vortex is supposed to have impacted on suburbs, it's quite possible that this actual feature here is what we're seeing, the debris picked up by the vortex, additional debris, larger debris,  
25 giving bigger radar returns. But it just allows us to place some times on it and speed of motion of this thing.

That is the end of the slide show that I had  
30 prepared. I hope it's given you a reasonable overview of what we were just talking about.

MR LASRY: I just want to ask you a couple of  
35 questions arising out of some earlier things that you said, and in particular as you were explaining the records suggesting the very low rainfall and very high temperature. That information, of course, drought information, is being accumulated day by day, as records  
40 evolve. But is there a means or a formal means by which the fact that, for example, we're heading for the lowest rainfall or for a series of above average temperatures is conveyed to those authorities who are affected by it? I  
45 mean, is what we are seeing the summary of

information that was disseminated as it was occurring?

5 A. The information regarding actually how the rainfall compares to average, looking back in time, the last six months, the last year, is available on the Bureau of Meteorology's registered user website. We maintain five or six registered user websites for each fire agency in New South Wales. It's available there.

10 There are also means from during October of last year. We issued a seasonal climate outlook for the fire agencies based on the broader seasonal climate outlook produced by the National Climate Centre. They're the climatological experts. We took their information and gave it a slightly more New South Wales and fire-oriented slant and issued that to each of the fire agencies in New South Wales and the ACT during October.

15 Q. Right. And is that issue in documentary form, or do you actually give them a briefing --

20 A. That was issued in the October case - I'll just confirm that that was October. (Pause) Yes, during October 2002 that was issued. There are also mechanisms by which during pre-season meetings we do a seasonal outlook as well as to the possibility of above or below average rainfall.

25 Q. I take it there's a formal or standing process of liaison between the Bureau of Meteorology and the fire authorities?

30 A. There are. We have pre-season and post-season meetings with the fire agencies to discuss either possible improvements to the service or any changes that we may make during the season.

35 Q. All right. Is there any record of the detail of the information that was issued to the fire authorities before the last fire

season?

A. I have a copy that I sent via e-mail here of an outlook that was issued in October of 2002 discussing the coming fire season and the  
5 rainfall leading up to the fire season.

Q. Is that amongst the material?

A. No, it's not.

10 Q. Would you mind just putting that out, thanks. If I could have a look at that.

A. Sure. Attached to the back of it is a covering e-mail that was sent out, I believe.

15 Q. The e-mail is addressed to a large number of people, and I take it they include people concerned with the New South Wales Rural Fire Service and the ACT Emergency Services Bureau?

A. That's right.

20

Q. Is that right?

A. Yes.

25 Q. I'd like to ask you to take this back in a moment and I just want to refer to the summary. The document, which I'll tender in a moment, refers to rainfall and climate outlook temperature and the El Nino, which you suggest looks likely to continue through until at least  
30 the end of the year. And, in the summary, the document says:

35 This outlook presents a serious situation within New South Wales, particularly given the current severe rainfall deficiencies in many parts. The continued severity of the coming fire season will depend on the individual systems that pass over New  
40 South Wales and continued vigilance will be required.

That was the view of the bureau as at October of 2002; is that right?

45 A. That's right.

Q. And is it right to say that the serious situation - depending on the individual systems that pass over, the serious situation was not ameliorated by the systems that passed over, but in fact was made worse?

A. That's right. When we say the systems moving over, we mean a bout of westerly continued or enhanced westerly winds, which in some seasons with the same dry conditions may not happen, but with the westerly winds it's possible.

MR LASRY: Your Worship, this is the first time I've seen this document, so I'll just tender it in the more usual manner, your Worship. Your Worship may wish to have a look at it. We'll arrange for copies to be made.

MR JOHNSON: Yes, if it's possible to have it copied. I certainly have some questions of the witness and I haven't seen that particular document before. I don't think it's annexed to the submission.

MR LASRY: No, it's not.

THE CORONER: It's not very lengthy. We can arrange for some copies to be made available to the parties prior to the cross-examination. I'll mark that document as an exhibit in any event. So how would you describe that? A briefing that the bureau provided in October 2002 to the fire authorities of New South Wales and the ACT?

A. That's right, yes, your Worship. I would say that it's based upon monthly briefings that are issued by the National Climate Centre that come out every month, and they're also available on the bureau's website quarterly.

THE CORONER: So that document will be exhibit 1.

<EXHIBIT #1 DOCUMENT ADMITTED WITHOUT OBJECTION

MR LASRY: Your Worship, just in relation to exhibit numbers, as these documents are tendered we'd anticipate that we put them on to the casebook system so they would probably then be given subsequently a different number so they can be found on the system. If your Worship wouldn't mind treating exhibit 1 as a provisional number, subject to the document going on to the system.

THE CORONER: Certainly.

MR LASRY: Mr Webb, the next thing I want to ask you is this: the forest fire danger rating to which you referred, again do I understand you to be saying that's something which is monitored or calculated from time to time by the bureau as the fire season progresses?

A. That's right. Calculated as well as forecasts of that index prepared for the fire agencies at their request.

Q. And I take it that the forest fire danger rating becomes a part of the routine fire weather forecasts that are issued by the bureau; is that right?

A. Yes, that's right.

Q. And I think probably your slides made that clear enough. Next, your view as at 15 January was pretty clear, that the weather would deteriorate, that is get hotter and drier, and more windy from the north-west or from the west-north-west, on the 16th, 17th and 18th. Am I right about that?

A. The briefing I gave to the New South Wales Rural Fire Service, I had requested a phone hook-up. I rang them on the morning of the 15th and requested a phone hook-up to discuss the deteriorating conditions. We felt that Saturday conditions would deteriorate. There was a gradual warming trend, but we felt on Saturday the winds would pick up and quite possibly there would be some deteriorating

conditions as well, or at least bad conditions into the following week.

5 Q. And of course by then you knew that you were providing forecasts and outlooks for people who were already confronted with quite substantial fires to the west of Canberra?

10 A. Yes, we started the forecast service for the fires at least in New South Wales - the fires to the north-west of Canberra during the - the first one we gave was on the 8th of January at the request, in fact, of the ACT Emergency Services Bureau.

15 Q. And, finally, the other matter I wanted to ask you is you refer to the temperature on the 18th, and I think your evidence in the course of your presentation was that the temperature on that day reached something of  
20 the order of 37 point something, which is over 100 degrees in the old measure, and I think you thought that the smoke haze had provided a moderating influence on the temperature. Am I right about that?

25 A. That's right. There was the general comment from the Canberra forecasters at the time that they were taking off a certain amount of temperature but, because of smoke haze, as far as forecasting maximum temperature, it  
30 seems that the smoke over the ACT inhibited the solar radiation.

Q. But, in the absence of the smoke haze, it dissipated for some reason on the Saturday. Am  
35 I right in understanding from your evidence that you would have expected the temperature on that day to be significantly higher than 37 degrees?

40 A. I don't know whether significantly higher. I'm not sure how much higher, but I think it would have been higher. I'm not sure of the actual figure.

45 MR LASRY: Thank you, Mr Webb. I don't have any further questions.

THE CORONER: Yes, Mr Johnson.

<CROSS-EXAMINATION BY MR JOHNSON

5

MR JOHNSON: You've given some evidence to the court today, Mr Webb, of the very detailed demonstration of events that occurred over a period of 10 days from 8 to 18 January this year. That's so, isn't it?

10

A. Yes.

Q. And I think you said that the compilations which had been given on the screen had been done over recent months by the Bureau of Meteorology?

15

A. The detailed analysis was done in recent months.

Q. And that's a compilation of information which has been obtained from a variety of sources, as you've indicated in the course of your evidence?

20

A. Yes, it's a variety of sources, particularly in respect to the detailed information.

25

Q. It's providing a history of the past events by reference to what we now know to have been the actual conditions that existed from day to day. That's so, isn't it?

30

A. That's right.

Q. And that history of past events has been further supported by photographs showing smoke and indeed the satellite photographs showing other features?

35

A. That's right.

Q. Now, you don't suggest in any way that the type of detailed information obtained now retrospectively as a matter of history was available in this form to those confronting these fires at the time, do you?

40

A. No.

45

Q. Now, you are familiar with the submission made on behalf of the Bureau of Meteorology dated 25 August 2003?

5 A. I am.

Q. Were you one of the authors of it?

A. Yes, I discussed the meteorological conditions, the --

10

Q. And so far as one looks to find what the information was that was given contemporaneously in particular to the ACT Emergency Services Bureau in the period up to 18 January, one finds that information reported in this submission; is that so?

15

A. Much of the information is discussed.

Q. And have you got a copy of this submission with you?

20

A. I have a copy, yes.

Q. There is attached to the submission a set of appendices, is there not?

25

A. Yes, there is.

Q. And, starting at page 38, there's an index to the appendices. And just without going into great detail, just to say that the classes of the information which was available at that time, behind appendix A, commencing at page 39, were what's described as operationally issued routine fire weather forecasts; is that right?

30

A. Yes, actual routine fire weather forecasts, 8 to the 18th.

35

Q. There is an index at page 3 of the submission which lists the appendices and provides descriptions, and if you could just keep that handy.

40

A. Okay, sure.

Q. So the first class of material available are the operationally issued routine fire forecasts. The second class at appendix B,

45

which commences at page 61, the operationally issued fire weather warnings. There are a number of those?

A. Yes.

5

Q. And then the third class behind appendix C, the operationally issued special fire weather forecasts which commence at page 77?

A. Yes.

10

Q. And then there is at page 123 what's described as supplementary information from the CMO to the ACT Emergency Services Bureau, sent manually by fax on Saturday, 18th January 2003.

15

Is that so?

A. That's right.

Q. And that was sent at 2.03pm, approximately?

20

A. According to this document it was sent at 2.03pm.

Q. And then at appendix F, at page 129 and following, there are what are described as CMO briefing notes used in ACT ESB face-to-face briefings from 15 January onwards.

25

A. Yes, that's on page 129.

Q. Those were notes made by Mr Mason; is that so?

30

A. I'm not certain exactly who made those notes.

Q. It certainly wasn't you?

35

A. No.

Q. And you weren't present at those briefings?

40

A. No.

Q. So in so far as one is looking at the material available to the ACT firefighting agencies at that time, at that time being in the period prior to 18 January, one finds it within those categories of information which

45

are part of the Bureau of Meteorology's submissions; is that so?

A. Sorry, you might need to repeat that. I'm not sure what you were saying.

5

Q. Well, in so far as one is looking for the information which was provided by the bureau to the ACT Emergency Services Bureau, in the days leading up to 18 January, it's contained in these schedules I've just taken you to; is that right?

10

A. Apart from the verbal briefings that were given to the ACT Emergency Services Bureau, which are discussed in the text of the briefing, this outlines - you mentioned that it outlines the notes used in the ACT ESB face-to-face briefings. I don't know exact details of all the briefings that were done from the Canberra Meteorological Office. The forecasters there would be in a better place to comment on that. But the contents of the report also discuss those briefings, but I'm not aware of the individual contents of those briefings.

15

20

25

Q. And they were briefings at which you were not present?

A. No, that's right.

30

Q. As far as you know, does the submission contain all the weather forecasts in documentary form at least as provided to the ACT Emergency Services Bureau in the period between 8 and 18 January?

35

A. As far as I know, it contains the specialised fire weather forecasts available to the ACT Emergency Services Bureau from 8th January. There are other forecasts issued by the Canberra Meteorological Office, but I'm not aware of the dispatch list or the total list that the ACT Emergency Services Bureau get and there may be other forecasts that are not specifically related to fire weather that aren't included in this document.

40

45

MR JOHNSON: Could I just have a moment, your  
Worship, to look at this document which has  
been marked provisionally as exhibit 1. We  
haven't seen it before.

5

THE CORONER: Yes, certainly. (Pause)

MR JOHNSON: That's all, thank you, your  
Worship.

10

THE WITNESS: Can I say something, your  
Worship? I may have misled in a little  
respect. Some of the forecasts within this  
document were produced from the New South Wales  
office, some of the special file weather  
forecasts were produced from New South Wales  
for the fire to the north-west of Canberra, but  
the briefing material was related to the ACT  
Emergency Services Bureau.

15

MR JOHNSON: At some stage, your Worship, I'd  
take it that the document which is the  
submission will be tendered as an exhibit  
because it isn't actually in evidence at this  
stage. I'm perhaps asking a question of  
counsel assisting through your Worship in that  
respect.

20

THE CORONER: It might be better to do that  
sooner.

25

MR LASRY: Because the document is part of the  
brief and the brief has been provided  
electronically, I suspect my learned friend  
will find in the bottom right-hand corner of  
his document a number and, rather than confuse  
the issue with adding more exhibit numbers, as  
a matter of general practice the number on the  
front page of the document will be for these  
purposes also the exhibit number. As it  
happens, I have in front of me one without the  
number.

30

35

MR JOHNSON: I certainly have a number and I  
can put it on the record.

40

MR LASRY: I think I've been told it's the wrong one.

5 MR JOHNSON: I think there's some question as to what the --

THE CORONER: Which number are you referring to, Mr Johnson?

10

MR JOHNSON: It's [BOM.AFP.0092.0001] And the document running through to 0144. So it's a document with 144 pages, both submission and annexures. I'm certainly happy if it bears that number as the exhibit because I'm  
15 conscious that the numbering of exhibits may become very complicated if there's not a consistent process. So I've got nothing more to say about that. It was only the question of  
20 just ensuring it was before your Worship as an exhibit.

THE CORONER: It is before me, thank you. But I think you were also asking, Mr Johnson,  
25 whether or not the brief, which means all of these folders, the 10 folders and the electronic version of those 10 folders - were you not asking whether or not that has been  
30 officially tendered?

MR JOHNSON: I was just asking as to whether it was going to be treated as tendered. I'd rather assumed that was likely to be the case from my friend's opening this morning because  
35 he referred to it from time to time specifically and globally but, if it's understood that it will all be before the court as an exhibit, then those who have leave can at least approach the question of evidence from  
40 that point of view, and in this area of course there is substantial factual issues in the documents which need to be looked at in conjunction with the oral evidence of the current witness.

45

THE CORONER: I think that's certainly the intention, to have that whole brief before the court as an exhibit.

5 MR JOHNSON: Yes.

THE CORONER: That's so, Mr Lasry, is it?

MR LASRY: Yes, your Worship. If I could  
10 formally ask your Worship to adopt the  
procedure that all the documents in the brief  
are in evidence and that, for the purpose of  
recording exhibit numbers, the exhibit number  
15 for each separate document will be the exhibit  
number - will be the number that that document  
has on the system. That means that, for  
example, where documents have been referred to  
in the transcript, I think it's going to be  
20 possible to cross reference from the transcript  
straight to the document. If we have the  
complication of another intervening exhibit  
number, it will make it that much more  
document.

25 THE CORONER: So, for example, this current  
exhibit, this exhibit 1, that has been tendered  
just a few moments ago, that will be renumbered  
within the system.

30 MR LASRY: Yes, your Worship, that's so. As it  
happens, I think it will be necessary for me,  
from time to time, to announce that exhibit  
number 1 is now whatever it is, so that we keep  
the record up-to-date.

35 THE CORONER: That's fine, thank you. Yes,  
thank you. Mr Stitt, do you have any  
questions?

40 MR STITT: Just a couple.

<CROSS-EXAMINATION BY MR STITT

45 Mr Webb, the intense local vortices that you  
gave evidence about, I take it is the condition

that some people have described as the tornado effect; is that right.

A. Yes, that's right.

5 Q. There is such a thing as the Haines Index, is there not, which provides a scale representing the least to the most unstable wind conditions?

A. That's right.

10

Q. Are you familiar with the Haines Index?

A. I am familiar with the Haines Index, yes.

15 Q. You know that that index goes between 2 and 6, with 6 being the most unstable?

A. Yes.

Q. And you know that on the 18th the Haines Index was calculated to be 6?

20

A. Yes.

Q. So that's the maximum instability of air that can be recorded?

25

A. Using the Haines Index, that's the top end of the Haines Index.

30 Q. You also showed us some photographs of damage to property and trees from wind. The anecdotal evidence suggests that that wind may have been as strong as 200 kilometres an hour. Would you disagree with that?

35

A. The initial assessments we made were upwards - greater than 150 kilometres per hour. But I will add that I did not walk the damage path - the entire damage path. And I have only viewed those photos of those trees.

40 Q. But it's not unreal to suggest that that local vortice may have been at times between 150 and 200 kilometres per hour?

45

A. It is possible, but that is only based on the anecdotal evidence that you suggest and people who have done other damage surveys. I have not done it personally so I would not be able to answer it.

Q. So you don't disagree one way or the other?

5 A. My comment is that I have not walked the path and it certainly is possible that it did occur, but it's not my own professional opinion because I did not see all the damage.

10 Q. I see. And you know that on the 18th, the forecast winds were expressed to be 15 to 25, with gusts to 40, and possibly isolated gusts to 60 kilometres per hour on the 18th?

A. Which forecast are you referring to there?

15 Q. Page 36, said to be forecasts for Saturday, 18 January, issued, et cetera.

A. Page 36?

20 Q. If you look at the schedule, 6.23am, Saturday, 18 January, winds 15 to 25 kilometres per hour during the morning, reaching 30 to 40 gusts, to 60 kilometres per hour. That's the highest that it was forecast to reach. Is that accurate?

25 A. They are the average winds - that was the highest forecast of the average winds over that area were forecast to reach.

30 MR STITT: Nothing further.

THE CORONER: Mr Lowe, do you wish to ask any questions?

35 MR LOWE: No, thank you, your Worship.

THE CORONER: Do you have any re-examination, Mr Lasry?

40 <RE-EXAMINATION BY MR LASRY

45 MR LASRY: On that last matter, the forecast on the 18th to which my learned friend referred, I think he referred to the one at 6.23am. That's a forecast of conventional winds given the prevailing weather pattern, I take it.

5 A. That's right. That's a forecast for the general wind conditions over that particular fire, which at 6.23 was issued from the Sydney regional forecasting centre for the McIntyre's - actually for the McIntyre's Hut fire in that case.

10 Q. And I take it that the kinds of winds that occurred in the unusual weather event, which was the tornado, which was essentially created by convective forces; am I right about that?

A. Yes.

15 Q. That was something that as at 6.23am on the Saturday would have been pretty much unforecastable.

20 A. I would agree with that, that that the forces - we're not sure of the origin of the actual vortex itself, but it's certainly something that - it's something that would be beyond the capability to forecast ahead of time.

25 Q. My learned friend Mr Johnson sought to draw a distinction between the manner in which the information was presented by you during the course of your presentation of your evidence, and what was actually available at the time. However, what was available at the time, apart from the daily weather forecasts, did include information about rainfall and temperature?

30 A. Yes, that's right. As far as - I'll just clarify what you mean there, rainfall and temperature --

35

Q. I mean the history, the preceding history.

A. Yes, that's right.

40 Q. And indeed that's set out in what is presently exhibit 1, the outlook as from October 2002.

45 A. That's right. At the end of each month, that is when we get the data for the entire month, so at the time of the fire outbreak, we would not have been able to include January's

rainfall data. The data available would have been the data to the end of December.

5 Q. Yes, and any other information that was relevant to weather conditions in a fire season which doesn't find its way - if there is any, it doesn't find its way into the routine forecasts is, I think as you've said, available on the bureau's website?

10 A. Yes, much of the information, as far as the current conditions, temperature, wind speed, at our forecast locations, is available on the bureau's website.

15 MR LASRY: Thank you, Mr Webb. Your Worship, I'd ask that Mr Webb not yet be excused. We anticipate being in a position tomorrow morning to play to this witness and other witnesses the oral briefings that have been recorded, but  
20 we're just not in a position to do that now. So if perhaps Mr Webb could be stood down, I can go on with other evidence and complete him first thing in the morning.

25 THE CORONER: Thank you, Mr Webb. You can step down. You're not excused though. You may step down for the time being, thank you.

<THE WITNESS WITHDREW

30 MR LASRY: I call Ian Mason, please.

<MR IAN BRUCE MASON, SWORN

35 <EXAMINATION-IN-CHIEF BY MR LASRY

MR LASRY: Mr Mason, would you tell your Worship your full name and professional address, please.

40 A. Ian Bruce Mason, 32 Hensman Street, Latham, ACT.

Q. And are you a meteorologist?

45 A. Yes, I am.

Q. And in that capacity, you had been I think until 1996 engaged by the Bureau of Meteorology here in Canberra?

5 A. It's a little more complex than that. I left the Bureau of Meteorology in Canberra in 1989, and between '89 and '96 I worked in the Department of Administrative Services in Canberra.

10 Q. Right. But in any event, in January of 2003, you were asked to come back to the Bureau of Meteorology I think on a temporary basis; is that correct?

15 A. Yes, that's correct. I started duty with the Bureau of Meteorology in fact in August 2002.

Q. August of 2002, quite right. And you were acting as the officer in charge --

20 A. Yes.

Q. -- of the Canberra bureau; is that correct?

25 A. Yes.

Q. And I think that's called the Canberra Meteorological Office, or CMO; is that correct?

A. Yes.

30 Q. And in your capacity as the officer in charge, you had both administrative duties, which involved staff and infrastructure and things of that kind, and some operational duties as well; is that correct?

35 A. Yes, that's correct.

Q. And did you occupy that position during the period that we're interested in, between 8 and 18 January?

40 A. Yes, I did.

45 Q. Now, in your operational capacity during that time, was it the case that you, like others, had been called upon to give information to particularly here in Canberra

the Emergency Services Bureau about weather, given that fires were burning and had been burning since 8 January?

A. Yes.

5

Q. And is it also the case that I think on Tuesday, the 14th or - I think it might have been Tuesday, the 14th to start with, you were requested by Mr Rick McRae from Emergency Services to attend the following morning, Wednesday, the 15th, and provide to the bureau personnel an in-person briefing on the weather conditions and the way it was expected the weather would develop?

10

15

A. Yes, that's correct. They were particularly interested in the extended outlooks out to seven days or so in advance.

20

Q. Now. I wonder whether I might get a copy of the submission of the bureau just so the witness can have the document to look at. I just want to get you a document, Mr Mason. I'll pass this to you. Just testing our new system, your Worship, the document number is [BOM.AFP.0092.0001] and it's the bureau's submission to your Worship, dated 25 August of 2003. We'll take the witness to page 129 of the document, which is also page 0129. It's part of the number. I'll just hand you that. So I'm looking at page 129 of the submission. Now, does your Worship have a copy of that? It is on the screen.

25

30

35

THE CORONER: Yes, thank you.

MR LASRY: First of all, the documents at page 129, 130 and 131 are all in your handwriting; am I right about that?

40

A. Yes, that's correct.

Q. And going back to page 129, these are briefing notes used by you for the briefing which occurred on 15th January, on the morning of 15 January?

45

A. Yes.

Q. And as I understand it, they're notes made by you after, as it says at is very bottom, notes from memory made after the briefing?

5 A. Yes, that's correct.

Q. But they're notes which enable you to recall what you told the Emergency Services Bureau about the outlook for the following at least five days. It gets a bit difficult, doesn't it, beyond that to provide reliable outlooks?

10 A. It's certainly difficult to provide reliable outlooks but we're usually able to give some kind of general indication about the weather after seven days.

Q. Now, this is a briefing, as you've said, which occurred I think initially to a handful of people at 9 o'clock on the morning of the 15th and then to the full meeting, which was a much larger group of people at 9.30 on the 15th; is that correct?

20 A. Yes, that's correct.

Q. And what you told them was the outlook for that day. And would you just tell us, because they're your hieroglyphics, what those mean, the outlook for Wednesday, 15 January?

30 A. For Wednesday, 15 January, I told them that we expected the winds to be south-east to north-east, 10 to 20 kilometres an hour, tending to north to north-westerly in the afternoon. We were expecting a easterly surge around 15 to 25 kilometres an hour in and around 1900 local time, that's 7pm, and at the fire ground around 2000, that is 8pm. The numbers at the bottom of that particular box, 15 to 30, represent the forecast minimum and maximum for that day.

Q. All right. Now, that's a forecast for the Wednesday, given that day, so that's likely to be pretty reliable?

45 A. Yes, and that was in fact based on other

forecasts for the fire area which we received.

Q. Then you went on to talk about the  
Thursday, and what did you tell them about  
5 Thursday, reading those notes?

A. Thursday, at that stage, we were expecting  
easterly winds 15 to 25 kilometres an hour,  
freshening to 25 to 30 kilometres an hour by  
10 the evening, with gusts to 40 kilometres an  
hour, possible swing to the north-west in the  
afternoon. In the course of the briefing  
itself, I probably would have elaborated to the  
effect that the north-westerlies were more  
likely at the fire ground than at Canberra  
15 Airport.

Q. And why is that?

A. It's a higher altitude, the Canberra  
Airport, and in general in Canberra at that  
20 time of the year winds at higher elevations are  
more likely to be affected by upper winds in  
the atmosphere.

Q. Now, obviously the swing to the north-west  
25 is significant, I assume you thought?

A. Yes.

Q. Bearing in mind the position of the fires?

A. Well, yes, it's obviously significant when  
30 you're looking at fires from the point of view  
of the emergency services people who have to  
decide where to deploy their people for the  
best effect in fire attack.

Q. And also the risk at whatever level that  
35 could be measured at that stage, that the fires  
might affect the western edge of Canberra?

A. Yes, that would have been in everybody's  
mind.

40

Q. Yes. Are you able to recall whether or  
not that topic was discussed on Wednesday,  
15th?

A. I can't recall the details of the  
45 discussion in the planning meetings at

Emergency Services Bureau, but they were very detailed and thorough as far as I could make an assessment of it as a meteorologist, and they certainly would have been well aware in my opinion of the likelihood of the fire moving towards I think suburban areas of the ACT.

Q. All right. But whether or not that specific topic was discussed in this meeting or the Wednesday, you're not able to say?

A. Not with certainty.

Q. Well, do you have any memory at all of it being discussed on the Wednesday morning?

A. Not clearly, no.

Q. Well, that wasn't quite the question I asked. Putting aside whether the memory is clear, do you have any recollection of the topic being raised on the Wednesday morning?

A. The process in these planning meetings at Emergency Services Bureau was that the meteorological information came first, then there was a fairly detailed presentation of the exact location of the fire front at that stage and the way they were deploying staff to cope with it.

Q. You stayed for that discussion?

A. I stayed for that discussion, yes. My recollection in the intervening months is that there was some discussion of the likelihood that the fire front could affect the suburban area.

Q. But as to the detail of that you are not clear, I take it from your evidence?

A. No.

Q. All right. Going back to this document, for the Friday, that's the 17th, just interpret if you would what you've put there in your handwritten note?

A. We were expecting a cold front to be close to ML, which is shorthand for Melbourne, late

Friday afternoon. Winds freshening in Canberra in the afternoon to 35 to 40 kilometres an hour with gusts to 50. The humidity dropping. The following hieroglyphics - TD represents dew point of 2 degrees.

Q. Just explain what dew point is?  
A. That's the temperature to which the air has to be cooled to get condensation. A two degree dew point is quite low

Q. And what's underneath that?  
A. FWW likely. It says fire weather warning likely. In other words, on the morning we were telling them that, so a fire weather warning was likely to be in force for the Friday. 15 to 33 represents the forecast minimum and the maximum temperature.

Q. Yes. And then for the Saturday, it obviously starts with your information that there was a front approaching the ACT, north-west to westerly winds; is that right?  
A. Yes, north to north-west winds, 30 to 40 kilometres an hour, trajectory from New South Wales and southern Queensland, forecast minimum 15, maximum temperature 35 degrees plus.

Q. So of the pattern so far, obviously Saturday was the worst of those days from a fire weather situation?  
A. Yes.

Q. Was there any discussion about the consequences of that at that meeting that you can recall?  
A. No, I think at that stage everyone accepts that forecasts four days in advance contain a fairly high level of uncertainty and, while there was definitely some interest - well, a great deal of interest in the fact that we were forecasting the weather to deteriorate from a fire weather point of view, it was accepted that that was the best forecast that could be provided at the time.

Q. And then you go on to Sunday, which is getting now further out, we're now five days in advance, but you nonetheless are offering some estimation of winds tending to the north-east.  
5 What is that next word? "Remaining hot", is it?  
A. Remaining hot, yes.

Q. What is the rest of it?  
10 A. Possible north-westerly in the afternoon.

Q. And 15 to 34 on the Sunday?  
A. Yes.

Q. And then for Monday, which is the 20th, another front approaching from the west, hot dry north-westerly winds above --  
15 A. Ahead of the front.

Q. Ahead of the front. What does the rest of that say?  
20 A. Could give high 30s. I was referring to the maximum temperature there. Then possible thunderstorm, lightning, minimum 15, maximum 35  
25 plus.

Q. Now, there's a blank for Tuesday and then a notation underneath that, "Note: possible thunderstorms near fronts"; is that right?  
30 A. Yes, that's correct.

Q. What does the rest say?  
A. Risk of lightning but probably high base so little precipitation.  
35

Q. So in other words they weren't going to get any assistance from rainfall to put the fires out?  
A. Yes, that's correct.  
40

Q. Now, beyond what you've referred to there, is there anything else about that meeting that you can recall, or is that the extent of your recollection?  
45 A. I think that's a reasonable summary of my

recollection of the meeting.

5 Q. Okay. Just go over the page, if you  
would, to page 130 - that was also an in-person  
briefing, given on the 16th, the Thursday. As  
with the previous notes you say that these  
notes were compiled as an office record after  
the briefing and compiled somewhere between the  
16th and the 18th of January; is that right?

10 A. Yes, that's correct. I might say that I  
took a considerable amount of meteorological  
documentation to these meetings in the forms of  
charts, forecasts, but I didn't take written  
notes.

15 Q. Yes. Now, again, Thursday, which is the  
day you were there, had pretty much turned out  
as you predicted the previous day, so that was  
a pretty reliable forecast, according to the  
20 notes that appear here in the first box,  
Thursday the 16th.

A. Yes.

25 Q. North to north-westerly winds in the  
afternoon; is that right?

A. Yes, that's correct.

Q. Read the rest of it.

30 A. 10 to 20 kilometres an hour, after 1800,  
6pm, easterly, 15 to 25, gusts to 35 kilometres  
an hour, chance of thundery showers with a  
question mark after it. We were at that stage  
thinking that there was a possibility of some  
convective activity in the afternoon that could  
35 have produced large showers but, at the meeting  
itself, I emphasised the uncertainty in that  
and said it was simply a possibility.

40 Q. Is the change to the east from 6 o'clock  
at night onwards a common occurrence in the  
summer in Canberra?

45 A. That's quite a frequent occurrence in  
Canberra in the summer time. There's several  
mechanisms that can produce it. Sometimes it's  
the incoming cold air following a cold front

which comes in from the east to south-east.  
Other times it's the type of sea breeze effect.

5 Q. Yes. And once the wind has changed to the  
east, after 6pm at night, does it tend to  
remain consistent and remain from the east  
overnight?

10 A. It tends to remain from the east  
overnight. Just how long it persists into the  
following day depends very much on the depth of  
easterly that comes in. It can vary depending  
on the weather situation.

15 Q. All right. Now, for Friday, which was the  
day after you were giving this briefing,  
predicting north to north-easterly winds and  
then to the north-west in the afternoon; is  
that right?

20 A. Yes, that's correct.

Q. 20 kilometres an hour?

A. Yes.

Q. And what's that next?

25 A. Possibly a little more, with gusts 35 to  
40 kilometres an hour, then again we were  
predicting a weak easterly late in the  
afternoon, in general hot hazy conditions  
because at that stage the smoke from the fires  
30 was affecting the Canberra city and suburban  
area quite extensively. Minimum 16, maximum  
35.

35 Q. For the Saturday, the 18th, on Thursday it  
was again in a sense reinforcing the prediction  
you've made the previous day. It was clearly  
going to be a hot day with north-westerly  
winds, wasn't it?

40 A. That's correct.

Q. And by this stage was your forecast as far  
as you were concerned pretty reliable, two days  
out?

45 A. Two days out at that stage we felt it was  
quite reliable. One of the challenges of

weather forecasting is that you continually are getting new information and on practically an hourly basis. We felt at the time that that was probably a reasonable reliable forecast.

5

Q. And then on Sunday, slightly cooler with the winds initially east to south-east and then changing to the north-east and then north-west in the afternoon and 34 degrees?

10 A. Yes, that's correct. That would be a fairly common sequence of events following a weak easterly change.

15 Q. And Monday, you were predicting 35 plus, north-westerly winds 20 to 30 kilometres, gusts to 50 or 60. This is with another front approaching and the possibility of a change on the Tuesday; is that correct?

20 A. Yes, there was another front likely to be affecting the ACT, probably we thought at the time late on Monday or possibly on Tuesday. But the timing that far in the future is quite uncertain.

25 Q. Certainly the worst day out of that group, as you forecast it, was Saturday, the 18th. Would that be correct?

A. Yes, I think that's correct.

30 Q. Now, am I right also that on that Thursday afternoon, the 16th, you spoke with Mr Lucas-Smith from Emergency Services, and I think that was on the telephone?

A. Yes, that's correct.

35

Q. I don't think that's one of the conversations that's been recorded. But did he explain to you some concern about the weather outlook?

40 A. Yes, he was - this would have been about 3.30 to 4pm on the Thursday afternoon. The conversation is available, and I understand it's being extracted by the people in Melbourne who supply this.

45

Q. We'll get that for ourselves. But was one of the consequences of that conversation that he decided, as is his province to do so, that he would impose, or that ESB would impose, a total fire ban for the following five days?

5 A. Yes, that's correct.

Q. And did you tell him that you thought things were going to get worse, that the situation was certainly deteriorating?

10 A. Yes, at that stage we decided to issue a fire weather warning for the Thursday and, on the basis of the outlooks that we provided to Emergency Services and on further updates of their operational fire weather forecasts and the routine fire weather forecasts that would have been available to Mr Lucas-Smith by late afternoon, he telephoned me to discuss the outlook for the following four to five days and, on the basis of that discussion, he decided to issue a total fire ban with a five-day period, starting midnight on the Thursday.

25 Q. If you just go over to page 131, these are your speaking notes for the briefing that you gave that day. Does that mean that these are notes you compiled in advance to which you then referred during the course of the briefing?

30 A. Yes, that's correct. These are the ones I took with me.

Q. And, again, this is a meeting on the Friday morning, the 17th, at the same time, 9.30?

35 A. Approximately 9.30.

Q. And you've predicted or given a prediction for the Friday which is in accordance with the detailed forecasts which had already been published by the bureau; is that right?

40 A. Yes, that's correct.

45 Q. What does the rest of that entry say?

5 A. Winds variable until 10am, then 1000 to  
1300 - those are times - north to  
north-westerly, 20 to 25 kilometres an hour,  
1300 to 1900, that's 1pm to 7pm,  
north-westerlies, 30 gusts to 45. Gusts 50  
plus on the ranges. Possible 30 to 40  
kilometres an hour mean wind on the change  
ranges. Minimum temperature 15, maximum 36.  
10 At this time I'm including forecast due point  
of 3 to 4 degrees.

Q. And what do you say about that dew point  
of 3 to 4 degrees?  
15 A. That's a low dew point.

Q. And then for the Saturday, for the  
following day, does it say west to  
north-westerly, 25 to 35, gusting - what does  
20 that say?

A. Gusting 45 to 60. Then an easterly change  
late in the day or overnight, probably after  
10pm, that's our best estimate of the time of  
arrival at that stage. The forecast minimum  
25 17, maximum 37 and the dew point 0 to 2, which  
is a very low dew point.

Q. That's in ordinary language a very nasty  
fire weather day, isn't it?  
30 A. That would be a very nasty fire weather  
day, yes.

Q. Did you use words of that kind in the  
course of your briefing, do you believe?  
35

A. I may well have done so, but there  
probably wouldn't have been any need to  
emphasise the fact in that particular company  
that that was going to be a bad fire day.

40 Q. Again, if I can go back to the topic I  
raised with you earlier, can you recall whether  
or not questions of the consequences for the  
urban edge of Canberra were being discussed at  
this stage on the Friday morning?

45 A. I have no doubt they would have been, but  
I can't honestly say I have any clear

recollection of them being discussed, no.  
There was undoubtedly a very clear  
understanding that this was going to be a bad  
fire day and I think the action of Emergency  
5 Services in imposing a total fire ban for the  
five-day period indicates that they were well  
aware of the situation.

10 Q. Yes. And of course in those circumstances  
the critical winds I take it are the  
north-westerly - westerly, north-westerly  
winds?

A. That's correct, yes.

15 Q. Then your outlook for Sunday was a bit  
cooler, 32 degrees, with east to north-easterly  
winds, shifting to the north-west, and then  
back to easterly late in the afternoon?

20 A. Yes. That again is a fairly common  
sequence of events in Canberra, with the  
easterly washing out to a westerly in the  
afternoon and then coming back out in the  
evening.

25 Q. And the remaining outlook for Monday,  
Tuesday and Wednesday shows not much respite  
until possibly Thursday, and nothing in the way  
of rainfall?

30 A. Well, no. At that stage we were expecting  
Monday and Tuesday to be again fairly severe  
fire weather days. We were expecting the  
change that I referred to on the previous day  
to come through some time probably late on the  
Tuesday and producing a cooler day on the  
35 Wednesday.

MR LASRY: Yes, thank you, Mr Mason. I have no  
further questions.

40 THE CORONER: Yes, Mr Johnson.

<CROSS-EXAMINATION BY MR JOHNSON

45 MR JOHNSON: Thank you, your Worship.

Q. You indicated that there were some tapes, Mr Mason. Are they only of telephone calls or were your face-to-face briefings recorded as well?

5 A. The face-to-face briefings weren't recorded by me. You'd have to check with Emergency Services to see whether they had any recording.

10 Q. So, as you understand it, the discussions you had in relation to weather which were recorded were telephone discussions?

A. Yes.

15 Q. Now, could you turn to page 129, that is the note for the 15th January. I think you indicated to the court that you attended the briefing with a considerable amount of documentation.

20 A. Yes.

Q. By that do you mean that you essentially extracted particular bits of information and passed that on at that briefing?

25 A. I took the documents to the briefing in order to be able to refer to them at the briefing. Essentially, I should say, that these briefings tended to occur in two parts - the initial one was a fairly technical briefing to staff and Emergency Services who had the meteorological background to cope with a fair amount of scientific and technical information.

Q. That's the 9am one; is that right?

35 A. That's the 9am one. Then at 9.30, there was a briefing provided to the general planning meeting of the Emergency Services Bureau, which was a group of 15 or 20 people with various responsibilities. That did appear to be at a lower degree of technical detail and was essentially what I set out in the documents that you have.

45 Q. So I think, as you've indicated, these notes then, with respect to the 15, constituted

your best recollection at the time you made the notes of what you'd said to the more general one at 9.30am, that briefing?

A. Yes, that's correct.

5

Q. Are you able to recall now whether the notes concerning 15 January were made on the 16th or the 17th?

A. They were made on the 17th.

10

Q. Right. And the notes for the 16th of January, what day were they made?

A. They were also made on the 17th. It became apparent by that stage that we were heading for a significant fire event and I thought it was desirable to keep some record of what was said.

15

Q. And then by the 17th you prepared some notes which you actually took along to the briefing?

20

A. Yes, that's correct.

Q. And what you've got for the 17th and the 18th are notes that you actually spoke to at the meeting?

25

A. Yes, they were prepared in advance.

Q. All right. In so far as these forecasts are concerned, were they forecasts which, as you understood it, were intended to cover the whole fire ground, stretching from McIntyre's Hut in the north to Mount Morgan in the south, or were they more local than that?

30

A. Okay, these particular forecasts are intended to be verified off Canberra Airport data. This was understood by the Emergency Services staff at the meeting, and they were able to make any modifications that were required or they could question me if they felt that they needed further detail about what the conditions were going to be like at the fire ground.

35

40

Q. So these indicated what the forecast

45

conditions would be at Canberra Airport and it would be necessary to make some variation to that if it was appropriate to fit in with the particular local area where the fire may be,  
5 whether it's McIntyre's Hut in the north or any of the other fire grounds?

A. Yes, that's right. As Mr Webb mentioned there are consistent variations to temperature with height which need to be applied when  
10 you're looking at variations over the ACT.

MR JOHNSON: That's all at this stage, thank you, your Worship, but these tapes apparently will be available. It could be there are some  
15 more questions which could arise from that. But that's all for the moment.

THE CORONER: Thank you, you will have another opportunity if that arises.  
20

MR JOHNSON: Thank you.

THE CORONER: Do you have any questions, Mr Stitt?  
25

MR STITT: I have no questions except I was wondering whether Mr Mason had a weather forecast for the Rugby World Cup?

A. Unfortunately, no. I never come prepared!  
30

<CROSS-EXAMINATION BY MR LOWE

MR LOWE: Could I ask one question. In relation to the dew point, you made a point of making a couple of comments in your notes relating to unusual activity. What is the dew point, how does it relate to - why do you actually make this point? What is it normally?  
35

A. Okay. The dew point is a measure of the amount of moisture in the air. It's important in fire weather forecasting because it affects the amount of moisture in the fuel on the forest ground and it will affect the range and spread of the fire through fuel.  
40

45

Q. What would you expect it normally to be?

5 A. The dew point is extremely - it's quite variable. In the summer time an average sort of a dew point in mid-afternoon might be around  
10 about 5 degrees, but when the easterly comes in in the evening it would typically rise up to maybe around about 10 degrees. Once again this is quite variable, depending on the situation. Mid-afternoon on a very hot summer's day it can drop below zero, and in fact in the end on the 18th the dew point did fall below zero for a period of time.

Q. This is known as a characteristic of that?

15 A. Yes, yes.

MR STITT: Thank you.

20 THE CORONER: Yes, Mr Lasry, any re-examination at this stage?

MR LASRY: Not at this stage, your Worship. I'd ask you to follow the same procedure with Mr Mason and perhaps we'll not complete his  
25 evidence until the morning.

THE CORONER: Yes, thank you, Mr Mason. You can step down for the time being. Thank you.

30 <THE WITNESS WITHDREW

MR LASRY: I call Mr Clem Davis, please.

35 <MR CLEMENCE JOHN DAVIS, SWORN

<EXAMINATION-IN-CHIEF BY MR LASRY

MR LASRY: Mr Davis, would you tell her Worship your full name address and occupation.

40 A. Clemence John Davis. I'm officer in charge of the Canberra Meteorological Office and the bureau address is 12 Moore Street, Canberra.

45 Q. Thank you. And how long have you been a

meteorologist, Mr Davis?

A. 31 years.

Q. And all of that time here in Canberra?

5 A. No, I originally served in Perth for a couple of years, went up to Darwin for 7.5 years, served in Perth for another 11 years and since January 1994 I've been working in Canberra.

10

Q. All right. Now, you were involved - you were working at the Canberra Meteorological Office during the period under consideration, but in particular you were on duty on the 18th January; is that correct?

15

A. That is correct. During the time of the fires I was working as an operational forecaster. We had Ian Mason in as acting officer in charge and I was working over the period of the fires and I actually did the 3am to 10am shift on the Saturday morning.

20

Q. Anyone who starts work at 3 o'clock in the morning deserves instant recognition, in my opinion. Indeed, as you've said, you did start work at 3am on 18 January and, as we'll hear tomorrow morning, you had a number of discussions with people by telephone in relation to the outlook for that day; is that correct?

25

30

A. That is correct.

Q. At about 8.45 on the morning of the 18th you attended the ESB briefing and you fulfilled the role that had been fulfilled by Mr Mason on the previous three days; is that correct?

35

A. That is correct.

Q. And I wonder if you could turn the documents you have there to page 132. I think you'll find a document in your handwriting.

40

A. That is correct.

Q. Now, this is you telling the Emergency Services Bureau what the outlook was going to

45

be for, in effect, the next - it looks like the next six days, although the more reliable days are the days closer to the briefing date; is that correct?

5 A. That is correct.

Q. And would you just tell us - you can read the note if you like, but if you can remember other things that were said - can you tell us what you said on the morning of the 18th about how that day would develop?

10 A. Yes, the briefing notes says north-westerly winds developing in the morning, then gusting in the p.m. We were looking at 15 kilometres an hour gusting to 55 kilometres an hour, temperature 38 at the airport, and I've got 31 at the fire ground. As Ian and Rob have said, the temperature tends to drop off a bit with height, so you have to take into account the difference in elevation. Dew point of 3. We were expecting a south-easterly change in the evening but it may not reach the fire ground until after 9pm. I did actually say at the briefing that there probably would be gusts of 60 kilometres an hour along the ridges.

Q. And do you also agree that that means that that Saturday was going to be a very difficult day for the fires?

30 A. Yes, it was. We did have a fire weather warning out that I reissued in the morning and the fire danger ratings were calculated in excess of 60 at the maximum temperature.

Q. Now, again, unfortunately, I might need you to come back and continue your evidence in the morning, Mr Davis, but, after you attended that briefing, did you speak with Mr Webb, the first witness this morning, and also Mr Mason, about what had been discussed at that briefing and what the effects of it were?

40 A. Yes, I did.

Q. And in talking to Mr Webb, did you tell him that at the briefing there had been

discussion about the significant risk to the western edge of Canberra?

A. Yes, I did.

5 Q. And again we'll hear that tomorrow morning, no doubt. But a request had been made to you, hadn't it, for an extra special fire weather forecast for 800 metres?

A. That is correct.

10

Q. What does that actually mean?

A. Rick McRae at the ESB was asking us for a special fire weather forecast for close to Canberra. We had been issuing one for up in the hills around 1,400, 1,200 metres. He was requesting one for the height of 800 metres closer in to cover the area in closer to Canberra.

20 Q. Yes. And again as we'll hear tomorrow in the conversation with Mr Mason, you referred in that discussion to what you had been told at the briefing, that is that there was a significant risk of the fires affecting the urban interface and, as I understand it, the arrangement was that you would remain at the Emergency Services Bureau until the wind changed; am I right about that?

25 A. Not quite correct.

30

Q. Sorry.

A. What it was was that Rick also asked us to stay on duty until the easterly had come in, so Ian was coming on in the afternoon. I was ringing up to brief him and we made arrangements that I was going to come back at 6.30 in the evening to cover the hours up to when the easterly would come in.

40 Q. What can you recall about what was said in the briefing about the likely effect on the Canberra urban interface at the meeting on the morning of the 18th?

45 A. At the meeting there was - we usually gave our weather report first, then there was a

report on the fires, and there was considerable discussion about the impact of the fires on western Canberra as a possibility during the day.

5

Q. And did anyone venture an opinion as to when that might happen?

A. I can't recall exactly, but my impression was that it was - they were looking at it for later in the afternoon.

10

Q. Later in the afternoon. Well, your Worship, I wonder if I might pause Mr Davis's evidence there until we deal with this tape-recorder telephone conversation issue and, if it wouldn't inconvenience your Worship or my learned friends, if your Worship might consider adjourning for the day now and we'll perhaps complete that aspect first thing tomorrow morning.

15

20

THE CORONER: I'll just ask one question. What time was it on the 18th, Mr Davis, that Mr McRae asked you for this briefing, for this 1,800 metres briefing, impact of the fires closer to Canberra, do you recall?

25

A. I think it was after the planning meeting, before I came back to the office.

30

Q. And what time did you go back to the office?

A. I would have left the ESB about 10.15. I was back in the office at 10.30.

35

Q. So some time between 8.45 and, say --

A. It would have been later in the period that that request was made, probably more like around 10 o'clock.

40

THE CORONER: All right, thank you. You can step down for the time being, please, Mr Davis.

MR LASRY: I'm sorry about the delay but I'll endeavour to have the conversations ready for the morning.

45

THE CORONER: That's fine.

<THE WITNESS WITHDREW

5

THE CORONER: We'll adjourn until tomorrow morning at 10 o'clock.

10 MATTER ADJOURNED AT 3.23PM UNTIL WEDNESDAY,  
8 OCTOBER 2003

15

20

25

30

35

40

45

TRANSCRIPT OF PROCEEDINGS

CORONER'S COURT OF THE  
AUSTRALIAN CAPITAL TERRITORY

MS M. DOOGAN, CORONER

CF No 154 of 2003

INQUEST AND INQUIRY

INTO

THE DEATHS OF DOROTHY MCGRATH,  
ALLISON MARY TENNER,  
PETER BROOKE, AND DOUGLAS JOHN FRASER,  
AND THE FIRES OF JANUARY 2003

CANBERRA

DAY 2

10.06 AM, WEDNESDAY, 8 OCTOBER 2003

[10.06am]

THE CORONER: Yes, Mr Lasry.

5 MR LASRY: Your Worship, I'll recall Mr Davis into the witness box.

<MR CLEMENCE JOHN DAVIS, RESWORN

10 <EXAMINATION-IN-CHIEF BY MR LASRY CONTINUING

MR LASRY: Your Worship, it seemed to me perhaps the most efficient way to do this is, while Mr Davis is in the witness box, to play through  
15 all the tapes that we propose to play, and there are a number of them, although the conversations aren't very long, and, in the event that any clarification is needed as to identity of speakers or anything like that,  
20 then I can ask him those questions. And the other two witnesses, Mr Webb and Mr Mason, are in court. If the other parties want to ask them questions arising out of these conversations, then of course they can be  
25 recalled for that purpose. But I thought I'd go right through from start to finish and play the tapes. And perhaps as we go, I'll introduce them at least to some extent.

30 I should perhaps indicate that this is not all the conversations obviously. A number of conversations took place in person and it's also not all of the taped conversations, but, in so far as there are further conversations to  
35 be produced, then they can be produced later in the course of the evidence. But we only really became aware of these at reasonably short notice, so this is the best that we've been able to assemble so far.

40 They start, your Worship, on 8 January. The first conversation is Mr Webb on 8 January offering a briefing, I think, to senior personnel in the New South Wales Rural Fire  
45 Service at about 5.21 that afternoon.

**(A telephone conversation was then played)**

5 MR LASRY: Your Worship, the next tape is at  
about, I think, 7.29pm on 8 January. It's  
Mr McRae from the ACT ESB ringing Mr Webb,  
requesting a special fire weather forecast.

**(A telephone conversation was then played)**

10 MR LASRY: The last one for 8 January,  
your Worship, also involves Mr Webb and New  
South Wales State Forests at about 10 o'clock  
on 8 January.

15

**(A telephone conversation was then played)**

20 MR LASRY: Your Worship, we move forward to 14  
January and the next number of conversations -  
really the 14th and 15th, to start with,  
involve various people from the Canberra  
Meteorological Office and ESB. The first of  
these is a bit after 5 o'clock on the afternoon  
of 14 January. The participants are Mr Mason  
25 and Mr McRae.

**(A telephone conversation was then played)**

30 MR LASRY: The next one, your Worship, is a bit  
after 8.10 the following morning, on 15  
January, involving some corrections to the  
forecast.

**(A telephone conversation was then played)**

35

MR LASRY: Just before I go to the next one, Mr  
Davis, who was the voice at the weather bureau  
on that last one?

40 A. James Caust. He was the meteorologist on  
duty at the time.

MR LASRY: Thank you. The next, your Worship,  
is 8.25am the same morning, again Mr McRae and  
Mr Mason.

45

**(A telephone conversation was then played)**

MR LASRY: The next is at 9.30 on the morning of  
the 15th, your Worship. It's Mr Mason, who has  
5 by now gone to ESB for the briefing. He's then  
ringing back to the weather bureau.

**(A telephone conversation was then played)**

10 MR LASRY: Next is at about 2.45 in the  
afternoon - Mr McRae ringing into the weather  
bureau and to Dave. Who is Dave Williams?  
A. Dave Williams. He was the fourth member  
of the staff.

15 MR LASRY: Okay.

**(A telephone conversation was then played)**

20 MR LASRY: Some of the files, your Worship, -  
they seem to have run out of space, so we  
should have started with the second one. So  
you can run it forward to the point where the  
other one stopped.

25 **(The telephone conversation continued)**

MR LASRY: I think that's it. Your Worship, on  
the disk there are some other conversations  
30 which people can listen to at their  
convenience. There's, for example, at 4.30 a  
liaison between the bureau and the 'Canberra  
Times' in relation to the weather, but I  
perhaps will restrict the playing to the ones  
35 that involve matters relevant to outside  
agencies. So, if we can go to 16 January now,  
7.17am, Mr Bartlett from ESB inquiring about  
when the cloud might break up and aircraft  
deployment. I might say, your Worship, I think  
40 there are two files here. There's one short  
file and the conversation continues in the  
second one.

45 **(A telephone conversation was then played)**

MR LASRY: Your Worship, there's another conversation which is really a formality about getting special fire forecasts forward, which I won't play. The next one of any significance is at 1.30 on the 16th. It's a discussion between Mr Mason and Mr McRae.

**(A telephone conversation was then played)**

MR LASRY: Next is about an hour later, I think. This will be on a separate disk. This is at 2.42pm on 16 January, a discussion between Mr Mason and Mr Lucas-Smith from the Emergency Services Bureau.

**(A telephone conversation was then played)**

MR LASRY: Your Worship, I may have missed one along the way, which might be separate, for the 15th. It's a briefing for 15 January, but perhaps I can come back to that later, if it's not immediately apparent to the operator. Perhaps we'll keep going in order and I'll come back to it.

Next is on 17 January. There's only one that I had proposed to play for that day. As I follow it, it's a briefing involving James Caust from the bureau in Canberra to a number of personnel from New South Wales. It occurs at about, I think, 5.19pm.

**(A telephone conversation was then played)**

MR LASRY: I might interrupt at that stage. There's been a discussion there about Sunday. Did you have a point you wanted to make?  
A. Yes, a point of clarification. That was a voice tape of James Taylor, who was operating in the Sydney regional office, Sydney weather section.

THE CORONER: James?

A. Taylor.

MR LASRY: So that's coming from Sydney, not from Canberra.

A. That's correct.

5 Q. Nonetheless, the information remains obviously relevant?

A. That is correct.

10 MR LASRY: Your Worship, we'll go now to the 18th. There are, as you can imagine, a large number of phone calls on the 18th but I'll just pick out the ones again that involve outside conversations. The first of them is a conversation between this witness, Mr Davis,  
15 and Phil from the fire brigade at 3.21am on the morning of the 18th.

**(A telephone conversation was then played)**

20 MR LASRY: That was you obviously, sounding remarkably articulate at 3.21am. The next is at 10.08am. This is Mr Webb to the New South Wales Rural Fire Service. It's about halfway down the next page.

25

TAPE OPERATOR: The 10.08 is not there.

MR LASRY: We'll come back to it. The next one is at 10.30. It should be a conversation  
30 between the witness, Mr Davis, and Mr Webb.

**(A telephone conversation was then played)**

MR LASRY: If I might interrupt there. I think  
35 much of the rest of that conversation was about whatever IT problem you were encountering. What was the problem? What was it?

A. It was essentially some of the forms had been changed up in Sydney but hadn't been  
40 loaded on to our machine.

Q. Okay. What you were endeavouring to do, or what you were discussing doing, was preparing this special fire weather forecast  
45 for 800 metres for the Canberra area. Did you

ultimately solve the problem and publish the forecast?

A. Yes, it was eventually solved.

5 MR LASRY: I'll go to the next conversation, which is about seven minutes later at 10.37, and then I'll ask you some questions about both those conversations.

10 **(A telephone conversation was then played)**

MR LASRY: Now, just in relation to those last two conversations, firstly with Mr Webb and then with Mr Mason, they followed your  
15 attendance at the briefing at the Emergency Services Bureau?

A. That is correct.

20 Q. And that was a briefing which had occurred at about 9.30 or so?

A. That is correct.

25 Q. And you'd taken part in that in the sense of giving information about the weather forecast for the day and for the following days?

A. That is correct.

30 Q. And in both the conversations with Mr Webb and with Mr Mason I think you used the words "significant risk" when describing what had been discussed at that meeting. You said that there was a significant risk to the urban  
35 interface of Canberra, qualified only by the fires being able to be brought under control. Was that the essence of what was said at the meeting?

A. That is my understanding.

40 Q. Does that convert to, unless we can get control of this --

MR JOHNSON: As to that I'd object.

45 MR STITT: That is hardly evidence, my learned

friend giving it from the bar table.

MR JOHNSON: It's been indicated, your Worship,  
what was said. What it converts to ultimately  
5 may be a matter for your Worship, if the  
witness can say something more as to what was  
said, but it has been made clear, I would  
submit, and that's the evidence as it stands.

10 MR LASRY: The witness was giving evidence about  
his understanding.

MR STITT: Why don't you ask him what his  
understanding is instead of giving it from the  
15 bar table?

MR LASRY: Perhaps my learned friend could stand  
up when he's objecting.

20 I'm simply trying to get the witness's  
understanding, your Worship, and to clarify,  
but perhaps I'll change tack slightly.

Q. Can you recall actually what was said at  
25 that meeting in relation to the western urban  
interface?

A. I couldn't recall in so many words but  
there was discussion about the possible run of  
the fires in towards western Canberra.

30 Q. Who was speaking? Who was offering the  
opinion?

A. Rick McRae was one of those that was in  
the planning room that was discussing the  
35 fires.

Q. Was the means by which the fire might be  
controlled discussed, because on the tape you  
say if the fires continue out of control, there  
40 was a significant risk to the urban interface.  
Was the means by which control might be going  
to the fires discussed?

A. Yes, the whole issue of planning and  
resources were discussed at the planning  
45 meeting.

Q. Apart from the change of wind or change of direction of wind to the east, was there any other means of controlling the fires discussed in that meeting that you can recall?

5 A. Not that I can recall. There may have been some discussion on using water bombing but I can't recall exact words.

10 Q. As the day went on, did it become clear that what was of significant interest to the Emergency Services Bureau was when the wind would change to the east?

A. That is correct.

15 Q. And for as long as it continued to blow from the west or the north-west, a risk obviously maintained as far as Canberra was concerned?

20 A. That is correct.

Q. Was the risk to the urban interface further particularised; in other words, did anyone suggest that the fire front would actually burn into the housing on the western edge of Canberra?

25 A. I can't recall that that was a definite thought, but obviously, if you're going to have a fire front affecting the urban interface, there would have been some effect on urban Canberra.

30 Q. Whilst you were present, was there any discussion about what would be done in relation to that risk; in other words, notification to the affected areas, people living in the affected areas, anything like that that you can recall?

35 A. Not that I can recall as such, but there was discussion about media and talking to the ABC.

40 Q. And who led that discussion, can you recall?

45 A. I can't recall, but that was a discussion

that was made - I can't recall exactly who instigated that call, that conversation.

5 Q. Right. As far as you could see, was there any plan in relation to either discussion with the media or dissemination of the information which had been discussed at that meeting, that you observed?

10 A. Not that I observed.

Q. All right, thank you.

15 MR LASRY: There's about another four or five calls to play, your Worship. I'm happy to stop now if your Worship wants to take the morning adjournment, or I'll keep going, whatever suits.

20 THE CORONER: It's probably just as convenient to take the morning adjournment.

MR LASRY: As your Worship pleases.

25 **ADJOURNED** [11.15am]

**RESUMED** [11.36am]

30 MR LASRY: Your Worship, for the rest of 18 January, as I said, there are a large number of calls. I only propose to play a handful. Perhaps we'll start with the call at 11.17am, which is a call from the Queanbeyan Emergency Services.

35 **(A telephone conversation was then played)**

40 MR LASRY: Now, the next one, your Worship, is at 1.36pm. As I follow it, this is a person within the vicinity of the McIntyre's fire wanting details of any change in the forecast. And he gives some eyewitness accounts of what's occurring.

45 **(A telephone conversation was then played)**

MR LASRY: The next one is at 2.47pm. It's an incoming inquiry from the public about the fire.

5     **(A telephone conversation was then played)**

MR LASRY: Your Worship, the last one - we may need to go back in time slightly. The last one that I wanted to play I thought for some reason  
10     had been on the 17th, but I am now reasonably confident that it's 15 January. It's the briefing given by Mr Webb to primarily New South Wales at - I'm not sure of the time now -  
15     but some time during 15 January. This is probably the longest of the lot. It runs for about 18 minutes or so.

**(A telephone conversation was then played)**

20     MR LASRY: That completes the tape recordings, your Worship. Mr Davis, do all those conversations give us a reasonable picture of the way in which the bureau interacts with the agencies it has to deal with during the fire  
25     season and the way in which information is imparted?

A.     Yes, it does.

Q.     And, wherever possible, obviously the  
30     information is imparted in as much detail as it can be, given what you know?

A.     That is correct.

Q.     Now, I just want to go back to the  
35     briefing that I asked you about before the break. I have just one other question that I should have asked you about that. As you said in the telephone conversations with Mr Mason and Mr Webb, there had been a concern about a  
40     significant risk to the ACT urban interface. To your memory, in the course of those discussions was anyone able to estimate, or was an estimate discussed, as to when in fact the fire might impact on that part of Canberra -  
45     that is, at what time during the day?

A. From what I can recall, the threat was going to be considered later in the afternoon.

5 Q. Later, yes. Did you take part in that discussion as well?

A. Not directly.

10 Q. No. But am I right in saying that the special forecast for 800 metres was a forecast which was hopefully going to inform that discussion; in other words, the more that you --

15 MR STITT: I object to this. Really, it's important my learned friend ought not to be leading constantly. It makes the probity value of this evidence almost nil unless it's being led properly.

20 MR LASRY: Well --

25 THE CORONER: I can't see that it's not being led properly at this stage, Mr Stitt. I'll allow Mr Lasry to keep on questioning in the manner that he has been.

30 MR LASRY: Mr Davis, all I'm really asking you: was the special forecast which was being issued for the 800-metre level a forecast which was relevant to that discussion, as far as you were aware?

A. Yes.

35 Q. Did that mean that that forecast would give particulars about the particular weather conditions in the Canberra vicinity, in the immediate Canberra vicinity?

40 A. Yes, what it was is that the forecast that we were issuing was for a high level, so if you're issuing it for 800 metres, you would then change the parameters to which we were forecasting.

45 Q. Yes. And the variations between 800 metres and the higher level forecasts, I take

it, were variations that included variations in wind - direction and strength?

A. Wind, temperature and dew point.

5 Q. And at the time that the discussion was being held in relation to the timing - the time at which the fire might affect the Canberra area - had that special 800-metre forecast been issued?

10 A. No. We couldn't issue it until I got back to the office to inform the rest of the staff.

Q. Okay. And how long after you got back to the office, which I think was probably some time after 10.30, wasn't it?

15 A. I got back to the office at 10.30.

Q. And how long after that was it that that special fire weather forecast for 800 metres was issued?

20 A. I actually finished work at 11 o'clock. I think it was around 1 o'clock that it was issued.

25 Q. Thank you.

MR LASRY: Your Worship, I don't have any further questions. Mr Davis hasn't been asked any questions by anybody else at this stage, of course, and the other problem that might be confronting my learned friends is that, whilst they've heard the conversations, they don't yet have the CD, and there is no transcript of these discussions yet. So, with that caveat, I ask no further questions.

30 THE CORONER: Yes, Mr Johnson?

40 MR JOHNSON: Yes, at this stage I don't have any further questions, your Worship.

THE CORONER: Mr Stitt?

45 MR STITT: Just a couple.

**<CROSS-EXAMINATION BY MR STITT:**

MR STITT: Mr Davis, you said you attended the meeting on 18 January as a representative of the metropolitan weather bureau, if that's the correct name?

A. As a representative of the Bureau of Meteorology, Canberra Meteorological Office.

10 Q. And were you there as a weather expert?  
A. Yes, I was.

Q. Was there any other expert there that had expertise in the weather, apart from you?

15 A. Not that I can recall.

Q. And you said that there was a discussion about a wind change, and I think you said the critical thing was the easterly wind change. What was the significance of that?

A. When you have a wind change, it can have a significant effect on a fire.

Q. But what was the significance of it coming and being an easterly wind change?

25 A. Well, it's a completely different direction from the normal wind speed - winds we were forecasting. Once you start to get a wind change, you can get a lot of effects around the fire itself and it can change the direction of the - of which way the fire is burning.

Q. But at the time of this meeting, the fire was subject to wind from the north-west or west, was it not?

35 A. That is correct.

Q. And that was driving the fire towards Canberra western suburbs?

40 A. That is correct.

Q. Well, what was the effect on the fire from your point of view of an easterly wind change?

45 A. Well, it would be on the timing of when that easterly would be hitting the fire front.

Q. Well, was that discussed?

A. I can't recall any discussion on that.

5 Q. But wasn't the question of when this westerly-driven fire might reach the western suburbs of Canberra an important topic?

A. From what I can recall, the discussion was to do with later in the afternoon.

10

Q. But wasn't it an important topic?

A. I can only provide the information on the weather that we were expecting. I'm not an expert on fire behaviour.

15

Q. No, but wasn't it an important topic?

A. It was a part of the forecast that was given in terms of the timing of the change.

20

Q. Well, didn't the timing of the change depend upon prevailing winds?

A. The easterly change was a result of the overall synoptic pattern, with a front moving through the coast. We were anticipating the easterly to come into Canberra at the airport about 8 o'clock that night. The easterly actually came in at about 7.30 in the evening to the airport.

25

30

Q. But what did you understand the effect of the easterly wind to have on the fire as at the 18th, whenever it arrived?

A. As I said, I am not an expert in fire behaviour. All I can do is give a prediction of when the winds were going to arrive.

35

Q. Well, do you say that you didn't take part in any discussion at that 18 January meeting in the morning as to when the fire might arrive at the western suburbs of Canberra?

40

A. I did not take part in that discussion.

Q. So you have no idea in your mind when that fire might have arrived at the - and I hesitate to use the word - urban interface?

45

A. I can only give you what my recollection of the discussion was.

5 Q. Well, was there a discussion in which you took part as to when the time that the fire might reach the housing in the western suburbs was likely?

A. I did not take part in that discussion.

10 Q. Well, did you hear any discussion taking place?

A. All I can say is, from what I can recall, the discussion towards the effect on the fire on the interface was later in the afternoon.  
15 That's all I can recall.

Q. But did you contribute your view as to the prevailing wind conditions and whether they might change in that discussion or did you sit  
20 mute?

A. By that stage I already had given my briefing as to what was expected in terms of the wind speeds and the wind directions and the timing of the change.  
25

Q. Well, did you express a view as to when the fire might reach the urban interface?

A. Again, all I can say is I am not an expert in fire behaviour and I could not give that  
30 information.

Q. But did you in fact volunteer it?

A. As again I said, I am not an expert in fire behaviour. I did not volunteer any  
35 information regarding fire behaviour.

Q. Well, did anybody ask you when you thought the wind might change?

A. Not that I can recall - well, I indicated the expected wind change in my briefing, which was we were expecting it at the airport at 8pm in the evening, and that was a part of my initial briefing.  
40

45 Q. So you didn't have any view at all as to

when the fire, which was then being driven by a westerly wind, might reach the urban interface?

A. No, I did not.

5 Q. And you didn't express that opinion to anybody at that meeting; is that your evidence?

A. I am not an expert in fire behaviour --

10 Q. You've told us that, but I'm interested to know what you actually said, you see. Are you saying that you did not express any opinion at that meeting as to when the fire might reach the urban interface?

A. Not that I can recall.

15

MR STITT: Thank you, nothing further.

THE CORONER: Yes, any re-examination, Mr Lasry?

20

**<RE-EXAMINATION BY MR LASRY**

25 MR LASRY: Did you actually have an opinion about the timing - whether or not you were a fire behaviour expert, did you actually have any opinion about when the fire might reach Canberra?

A. No, I did not.

30 Q. So, in so far as there was a conversation about that in your presence, you didn't take part in it at all?

A. Not that I can recall.

35 Q. Or offer any opinion?

A. Not that I can recall.

MR LASRY: Yes, thank you, your Worship. I don't have any further questions.

40

THE CORONER: Yes. And is that all the evidence that we require from Mr Davis? Can he be excused?

45 MR LASRY: Indeed, your Worship, unless there's

any reason - and I asked that Mr Mason and Mr Webb also remain in case questions arose from the telephone conversations. If none have, then I'd ask that they all be excused.

5

THE CORONER: You're excused, Mr Davis. Thank you very much for your assistance. I'll just ask counsel whether or not any counsel wish to ask any questions of Mr Webb or Mr Mason in relation to the tapes.

10

MR JOHNSON: No, thank you.

**<THE WITNESS WITHDREW**

15

THE CORONER: I appreciate it's been difficult to hear the quality of some of the tapes.

20

MR JOHNSON: I certainly don't have any questions, your Worship, but, as may arise from time to time in the inquest, if an issue does arise, of course, we would talk to counsel assisting if there is any issue, but I certainly don't at this stage.

25

THE CORONER: Thank you, Mr Johnson.

30

MR STITT: I don't have any questions, but I take it that my learned friend has satisfied himself about the Listening Devices Act with these recorded phone conversations and whether he needed to deal with that aspect, but that's really a matter for him through any of those witnesses. But I don't have anything.

35

THE CORONER: Thank you, Mr Stitt.

40

MR LASRY: Well, your Worship, I must say, I haven't. The weather bureau is one of those government instrumentalities that records conversations as a matter of course and, if there's a consequence under the Listening Devices Act, I'll have to deal with it, I suppose, but it hadn't crossed my mind to look at it. But I'm grateful to my learned friend

45

for his assistance.

Your Worship, Mr McBeth is the next witness.  
Mr Woodward will take his evidence.

5

MR WOODWARD: I call Mr Howard McBeth.

**<MR HOWARD RICHARD MCBETH, AFFIRMED**

10

**<EXAMINATION-IN-CHIEF BY MR WOODWARD**

MR WOODWARD: Mr McBeth, could you tell  
your Worship your full name please.

A. Howard Richard McBeth.

15

Q. And your address?

A. It's Lot 8, Frank Barker Road, Humbug  
Scrub, One Tree Hill, Adelaide.

20

Q. And your present occupation, Mr McBeth?

A. I'm retired.

25

Q. Mr McBeth, you prepared a report dated 29  
September 1994 in relation to fuel management  
in the ACT. I want to get to that in a minute  
but, before I do, I'd just like to ask you a  
little bit about your qualifications, in  
effect, at the time at which the report was  
prepared. You've provided - and it's included

30

in the brief - a CV. It's at  
[AFP.AFP.0087.0061]. While that's being  
brought up on to the screen, Mr McBeth, I'll  
just ask you - your positions held, as

35

disclosed in that CV, are between 1981 and  
1986, you were head of fire management with the  
Department of Environment and Planning with the  
National Parks and Wildlife Service, the state  
Planning Authority Lands South Australia. Is  
that correct?

40

A. Correct.

Q. Is that all one organisation, Mr McBeth,  
that's described in that - perhaps if you could  
move to 0062, the following page?

45

A. The National Parks and Wildlife Service is

a division of the Department of Environment and Planning, and the State Planning Authority was one of the agencies under the same group of Acts and, effectively, I headed the umbrella  
5 which managed fire for all lands in South Australia, which were managed by the government other than for commercial forests.

Q. So it's essentially a land management  
10 authority concerned with national parks and the like; is that correct?

A. It is.

Q. And between 1986 and 1994, you were a  
15 deputy chief officer with the South Australian Country Fire Service?

A. Yes, I was the chief operations officer for the state's fire service and the deputy chief officer.

20 Q. I see. Were there more than one deputy chief officer at the time?

A. No. There wasn't a chief officer either.

25 Q. I see.

A. There was a chief executive officer. So, effectively, I was in control of rural fires for the state.

30 Q. I see. Can I just ask you this: are you familiar, broadly, with the structure of the Emergency Services Bureau in Canberra?

A. As it now stands, no.

35 Q. Well, at the time?

A. I had a vague understanding of it.

Q. I'm just trying to perhaps, for the sake  
40 of her Worship, get a comparison. What would your equivalent position be in the ESB, for instance?

A. I think --

45 MR JOHNSON: I think the witness is indicating he has no understanding of how it is presently

fashioned and only a vague one as to the past. It may be not very helpful to seek a comparison with an organisation to which he has a limited current understanding. I'm not being critical of the witness. It's just a question of whether this will be helpful to your Worship at this stage.

THE CORONER: We'll just see what information is drawn.

MR WOODWARD: Mr McBeth, you said you were the chief operations officer. I was hoping to short-circuit this, but perhaps if you could explain what the role entails.

A. The chief operations officer's role was to effectively manage all fire in rural areas of South Australia, report to the minister and the Commissioner of Police under the state disaster provisions in South Australia. The position that the chief rural fire officer here operates under is similar to that of, or comparable to that of, a region in South Australia from a resources allocation perspective.

Q. You reported to the chief executive officer within the Rural Fire Service --

A. I did.

Q. -- the Country Fire Service, I'm sorry. And what, in essence, was the difference between your role and that of the chief executive officer?

A. The chief executive officer's role was to manage the board and the provisions of the Act vis-a-vis funding and administration. My role and accountabilities were the control, prevention and management of all incidents throughout the state pertaining to rural fire, hazardous chemical spillage, structural fire, et cetera, et cetera.

Q. I see. So at least by 1994 your experience combined both time with a land management agency, and a considerable period of

time, but also extensive experience in a body responsible for fire suppression?

5 A. Yes, I believe I'm right in saying that I'm the only officer that has held the chief operations officer position in a conservation agency for fire, that range of responsibilities, and then that of a state fire service.

10 Q. Now, since 1994, you've indicated in your CV that your role has been as a consultant on fire issues, and I think in your CV you've described - there's no need really to go to this page, but you've referred in page 7, which  
15 is 0068, to a number of roles you've had as an expert witness and adviser to various organisations; is that correct?

20 A. Yes. My sort of status as an expert witness occurred as a consequence of the February fires on Ash Wednesday 1983, where I suggested to the then Country Fire Service that they might like to crank things up a bit two days before the event and then, on the day, I suggested to the police that they might like to  
25 close some roads because deaths would occur if they didn't. They failed to close the roads, deaths occurred, and I was involved in the coronials from then on.

30 Q. I see. Now, the following pages of your CV, Mr McBeth, refer to a number of documents you've authored. I don't want to go to each of those, but I suggest to you that they have been largely documents to do with the development or  
35 articulation of various different fire management policies. Is that a fair summary?

A. That's correct.

40 Q. Mr McBeth, one item that's omitted from your CV, at least as provided to the inquest and forming part of the brief, is your role as a fire commander - in a command and control position.

45 A. Right.

Q. I just want to put these to you and, if you'd just confirm if this summarises your role as a hands-on firefighter, if I can put it that way. Between 1976 and 1980, you were a sector controller or fire boss and in excess of 80 events?

A. Correct

Q. And, between 1980 and 1981, you were a fire controller or fire boss in excess of 49 events?

A. Correct.

Q. And, between 1981 and 1986, you were the South Australian state controller in respect of - that is, with the Department of Environment and National Parks - in excess of 130 events?

A. Correct.

Q. Between 1986 and 1994, you had the role that you've described as South Australian Country Fire Service chief operations officer in excess of 4,000 events; is that correct?

A. Correct.

Q. And you also had a role as a task force commander in the 1994 New South Wales fires?

A. Yes, I took 1,000 vollies down there for 14 days, with with 70 fire appliances.

Q. 'Vollies' being a slang for volunteers?

A. Indeed.

Q. Thank you, Mr McBeth. I just want to briefly cover the circumstances in which you were asked to prepare the report that's included in the brief. At page [AUS.AFP.0040.0089], in the brief, there's a letter from Mr McArthur - I beg your pardon, from Mr Garry Crostin, General Manager of ACT Parks and Conservation Service, to Mr D McArthur, chief executive officer of the South Australian Country Fire Service in relation to the report.

45

But perhaps, before I ask you a question about that, I should indicate to your Worship that this and another half a dozen or so letters are not included in the volumes of the brief which  
5 were originally distributed. However, I've provided, I think, to all parties a set of these, as well as to your Worship, and also a CD has been distributed this morning with  
10 copies of these documents burnt on to that CD, so they now form part of the first phase brief.

Do you recall - I think we're having trouble bringing that up. The letter indicates that there had already been some contact and your  
15 name had already been put forward as a person appropriate to write that report. Do you recall the circumstances of that?

A. I have a vague recollection of the circumstances in that. For the previous three  
20 or four years I'd given numerous papers at various AFEC and ARFA conferences --

Q. Perhaps for the moment at least you had better give us what those acronyms mean?

A. The national body for the Association of  
25 Rural Fire Authorities, which the ACT Parks and Fire Service were members of, together with the Met Bureau and all the analysts around the Commonwealth who have got something to do with  
30 fire.

At those conferences I'd given papers. I'd also handed out what we believed at the time were relatively innovative processes for the  
35 management of fire - the relationships up and down chains of command, incident management system philosophies, the use of prescribed fire in native vegetation, standardisation of fuel breaks and access tracks, and a lot of these  
40 documents were taken up as models, if you like, by some agencies around the Commonwealth. And, with the knowledge that I had, it was considered that either myself or a guy in the west were appropriate for the job.  
45

Q. And you were effectively appointed by Mr McArthur, the chief executive officer of the CFS?

A. Indeed.

5

Q. What I might do in the absence of the documents on screen is hand to you the same bundle, if I may.

A. Thank you.

10

Q. That has at the front the letter to which I've just referred, which includes a specific request that the assistant chief officer, Howard McBeth, be released to provide an opinion as sought by Minister Wood, and it attaches, Mr McBeth, what appears to be a set of terms of reference in relation to the report for you to prepare. Are you familiar with that document?

15

20

A. Yes, I am, and those are basically the terms of reference.

25

Q. Yes. I want to return to those in a minute, but the next document in the bundle you have there is a document dated 21 June 1994, which is a letter from you to Mr Crostin, following your visit to Canberra in the week of 30 May, 1994, to 3 June 1994. You've raised some concerns about the nature of the report you were being asked to prepare. Are those matters that you discussed directly with anyone before you embarked upon the report - that is, the concerns you referred to in that letter?

30

35

A. Yes, I expressed my concerns basically from the first day of arriving to give this opinion, in that, when I arrived, a program hadn't been established for the week. There was no office accommodation available and this was sort of symptomatic of the way the matter was being handled, so I expressed my concerns from --

40

Q. Who did you express those concerns to?

A. These concerns were expressed to Dianne Garude and Garry Crostin.

45

Q. Could you spell 'Garude', is that Ms Garude, there's a reference to that in the letter?

5 A. Yes.

Q. What was her position at the time?

A. I don't recall.

10 Q. Did you have discussions at that stage about the nature of the terms of reference that we've referred to already?

A. Yes, I did. I had a meeting on I think it was the second morning with the executive of  
15 the department and I suggested to them that the terms of reference were flawed in that the ACT parks could not be considered in isolation of all the other lands surrounding Canberra because white man's cadastral lines on a map  
20 mean nothing to fire behaviour and fuel management.

Q. Could you just repeat that - the first part of that last answer? I think you said  
25 "white man's cadastral boundaries". Could you explain that?

A. Yes, lines on a map. You have a line around Namadgi, you have a line around parts of the production forests, and that's where one  
30 set of responsibilities finish and another start, or the other way around. And of course, where fire management is concerned, the fuels are contiguous and, therefore, the areas of land and topography from a fire perspective  
35 should be managed in a homogenous way, and they weren't.

Q. Your concern was, as I understand it, that the brief only extended to those lands under  
40 the control of ACT Parks and Conservation Service?

A. That's right.

Q. Which comprised national parks and the  
45 like?

A. Yes.

Q. But, importantly, excluded the pine plantations under the control of ACT Forests; is that correct?

A. That's correct, and I was insistent that I would have meetings with the forest service to discuss the concerns.

Q. And what was the response to those concerns at the meeting you referred to?

A. Well, it's very difficult to recall now. It's nearly a decade later. But basically the impression one got was that this wasn't the concern or level of interest or degree of complexity that I thought, in that the ACT hadn't been subjected to fires for many years, it hadn't been subjected to the Ash Wednesday events or the fires of New South Wales, and there was a philosophy that sort of pervaded everything that it's not going to happen here or it's not going to happen to us. And it was actually put to me on one occasion that I really didn't know what I was talking about, and that my concerns about fires coming down out of the ranges as a result of whatever source of ignition really weren't valid and that we had a minor fire the year before at a place called Curtin, I think it was --

MR JOHNSON: Could I at this stage object, your Worship, on this basis - there's no statement or interview from the witness and, of course, evidence has been given about events and conversations which are nearly 10 years old, as the witness has indicated. Clearly, as part of the history, the worth of this witness is important and it will be understood as so.

There will ultimately be a question as to what's happened since 1994 and 1995 as to which a number of other witnesses no doubt will give evidence, and in particular what the state of affairs was as to land management practice and the organisation of the fire services in 2003,

and also as to what the particular conduct and  
behaviour was of the 2003 fires, which of  
course is a matter for evidence to come. This  
is the second day of the first phase of what  
5 will be a lengthy inquest.

I say all that because this is clearly part of  
the history, the role of this witness, and  
indeed the report and the additional  
10 correspondence puts that in place. There's the  
Glenn report, which is also before your  
Worship, and no doubt there will be evidence  
about action taken in response to that.

15 In so far as evidence has been given as to what  
was said by some people - and there is some  
question as to who they are who are making  
these comments - there's reference to a  
briefing at which Ms Garude and Mr Crostin were  
20 present, but there seems to be a movement -  
certainly it's unclear as to who the comments  
which are being referred to now are said to  
have been spoken by and when.

25 If the evidence is to have any use, and in my  
submission it may be that, as a matter of  
history, there is limited use in going into all  
the detail here - it's quite apparent that  
there is a report, there is some controversy as  
30 to its content, there's correspondence as to  
that. As was raised by counsel assisting in  
the opening there was something said in the  
context of an 1995 election that led to the  
Glenn report. These are matters of history,  
35 which are essentially to be read and will speak  
for themselves. If the court goes into some  
detail about what may have been said at this  
stage by unspecified persons on occasions  
almost a decade ago, it may open up lines of  
40 inquiry which may further complicate an inquest  
which will be lengthy in its terms in any event  
and, bearing in mind these are conversations  
said to have taken place in 1994, there is a  
question of whether it is useful to the court  
45 to go back this far at this time.

As to whether at some future time the present witness might be called perhaps to give evidence after there is further evidence which  
5 has been given as to the conduct of the 2003 fires and as to the events which have occurred concerning the land management practice and things of that sort, that's a separate matter. That, of course, bearing in mind he had a role  
10 to play in 1994, may be a view that could be taken, but that could only be taken when there's some facts as to what occurred in 2003 which the witness could comment on.

15 For the witness to essentially talk at considerable length about the events in 1994 and, in particular, in the way it's happening now, in my submission, is not helpful to the court. As I indicated to counsel assisting  
20 yesterday, if there is evidence of conversations and such that are to be given by the witness because there's no statement, I will need to have an opportunity to seek some instructions in any event as to whether there  
25 is controversy. That task becomes even more difficult when conversations are given in a rolled up way without it being clear who's speaking and when.

30 All of that perhaps is a combination of submissions which I would put to the court to essentially submit that the role to be played by the present evidence is essentially historical. It is significant - I don't say to  
35 the contrary. It's largely documentary. And in my submission, given the nature of this inquest, it is not necessary to engage in lengthy questioning about what was said, and it may be that the court could form the view that  
40 the documents largely speak for themselves.

As to whether as I say at a later stage, when there is some factual foundations that may be there for the witness to be asked further  
45 questions is a separate matter, but at this

early stage, in my submission, evidence of this sort is unhelpful and will complicate the process of the inquest.

5 THE CORONER: Thank you, Mr Johnson. There is something in what Mr Johnson has submitted, particularly - and I appreciate the difficulty that Mr McBeth has, trying to recall conversations, and I think you yourself said,  
10 Mr McBeth, that you can't remember exactly what was said. You just have a general impression of the attitude that that --  
A. Yes. But --

15 Q. I don't know that we can take that much further.

MR WOODWARD: That was my last question on that.  
A. Your Worship, in a nutshell, to come back  
20 to the end of that discussion --

MR WOODWARD: Mr McBeth, perhaps I should just --

25 THE CORONER: There is merit in what Mr Johnson says.

MR WOODWARD: I accept that, your Worship, and I wasn't proposing to take the matter any  
30 further. The only reason I raised it was I anticipate there may be some cross-examination of Mr McBeth in relation to his departure from the terms of reference, and it seemed to me that it was only fair he at least explain the  
35 circumstances in which that arose. But, as far as I was concerned, I wasn't going to take the matter any further than that last question. So, if my friend allowed the answer to be  
40 completed, I think we would have been moving on.

A. I'd like to finish my response, if it's possible.

45 Q. Perhaps you could indicate at least at this stage - you were referring to comments

made. Are you able to identify who it was that was making the comments you've been referring to?

5 A. The person I was making these comments to specifically was Garry Crostin, and my request was would he please provide me with the policies of the department which produced the annual and recurrent work programs of fuel management, particularly on the urban rural interface.

10

Q. All right. I do want to come in a moment, Mr McBeth, to what documents you were provided with, so if we can hold on to that for the moment. In relation to the preparation of the report, Mr McBeth, at page 12 - and this is document [AFP.AFP.0087.0005] That's the document. At page 12 of the document, which is 0018, you set out a summary of, if I may call it, your program for the visit to the ACT in that period in late May, early June of 1994, with a daily breakdown of the visits you made and what you observed.

15

20

25 Could I ask you just, if you could briefly - and again I accept that your recollection of this may be a little bit hazy - give an indication to her Worship of your impressions, or perhaps a word picture, of what you did observe in terms of particularly fuel loads and other matters relevant to fuel management during that visit? Page 1 of the report.

30

A. Page 12. That helps a great deal, thank you.

35

Q. I don't want you to go through day by day, but if you could just give a general impression of what you observed at that time at least about the matters that were relevant to your report, in particular fuel loads.

40

A. Yes. Firstly, the parks service and forest service were unable to provide me with the policy documents which I could examine to determine whether the departments concerned were doing appropriate things under the

45

legislation under which they operated. It became rapidly apparent to me that they weren't, inasmuch as the fuel management in the areas I had viewed was less than satisfactory or less than what could be deemed reasonable by agencies operating the care and control of these lands in regard to protection of conservation assets and the public.

I viewed areas where backyards had extended into dedicated parks, where these backyard extensions had gone across fuel zones and thus increasing the fuel load or quantity in those areas, also backyards which have extended across fire breaks or fire access tracks, thus rendering them useless. So obviously I had grave concerns about these matters.

Q. Could you just explain that briefly. When you say backyards extending, are these private residents who have effectively encroached - allowed their property to encroach beyond what they own into government land, in effect?

A. Yes, absolutely.

MR JOHNSON: Your Worship, these are apparent observations from 1994. This fire occurred in 2003. There are questions being asked and answers given about unidentified backyards in parts somewhere in Canberra, apparently. I would submit that, unless there is some identification, it is not going to be helpful - and, indeed, even if there is identification, at this point in it's not helpful. The court does have the report of Mr McBeth. It has the surrounding correspondence. It has the Glenn report, and undoubtedly there will be witnesses called who were involved in the Glenn report and what's happened since.

The question ultimately will be what was done in particular since 1995 and what was the state of affairs as at January 2003 - a matter as to which I would submit is of critical significance, but as to which this witness

cannot make any contribution. This is not to be critical of the witness because he played this role in 1994. It is set out what the circumstances were as to that and I would  
5 submit that this is simply not helpful at this time. Even with clarification as to the premise, it would not be helpful.

10 THE CORONER: I wish to hear this information, Mr Johnson. Certainly the court has the report. The court has all the reports and the court has all the briefings and, I suppose, to take your argument to its extreme, Mr Johnson, the court would not need to hear evidence from  
15 any witnesses. Maybe you have had an opportunity to read every part of the report, Mr Johnson. I have not in any great detail. I certainly am aware of what is in the brief, but I do not at this stage recall what I have read  
20 in great detail, and I would be assisted with Mr McBeth giving this evidence.

MR JOHNSON: As the court pleases.

25 MR WOODWARD: Can I add, your Worship, in my submission it is a real issue in this case as to what was in fact done between 1994 and 2003, and it is helpful to your Worship to have, albeit relatively general, some impression of  
30 the level of fuel management that had been undertaken, what sort of difficulties or what issues there were present in 1994 as observed by this witness, in order to get an impression as to what was done in the period between then  
35 and 2003.

THE CORONER: Yes, I accept that.

40 MR WOODWARD: You mentioned the extensions in the backyards. What else did you observe in the areas that you visited about those sorts of issues, in particular the fuel loads?

45 THE CORONER: Perhaps just on that point, though, that Mr Johnson raised, when you're

talking about backyards, are you talking about any specific area in Canberra or just generally speaking.

A. Yes, it's mentioned in the report.

5

Q. What areas were they, for the benefit of those who don't have a copy.

A. I don't know, your Worship, without reading the entire report, but it is specified in there which park was involved in that particular matter.

10

MR WOODWARD: We may get to that in due course, your Worship.

15

A. Yes, I also observed vast accumulations of fuel or brash underneath pine forest plantations where flame length propagation would extend out of the forest reserves on to bitumen roads and, in one instance, into the playground of a school.

20

Q. Do you recall which pine plantation that one was?

A. No, I don't, but I'm sure there's a note in here somewhere about it.

25

Q. Yes. But those are the pine plantations. What about the nature parks and conservation areas?

30

A. The nature parks and conservation areas can't be lumped together as some of the forest fuels and others are grassland. However, it was evident to me that there was a degree of neglect or lack of rigour in regard to annual maintenance programs of fuel reduction across all the forest types which I viewed. So insufficient was being done to protect the community and/or the parks. It was quite evident to me that, on the event of a conflagration fire, deaths like Mrs Tenner's would occur.

35

40

MR JOHNSON: As to that I'd object, your Worship. This involves the very question of whether the witness making observations in

45

1994 can express any opinion about the events of 2003. There are nine years difference. There are events that ultimately - it may be that he's able to do it ultimately, but after  
5 there is evidence as to one, the circumstances of the fire, the cause and origin; secondly, as to what in fact happened with respect to land management, fuel reduction and firefighting practices in the ACT between 1994 and 2003 - if  
10 this evidence is to be adduced, I would submit the appropriate time is later in the inquest.

The problem right now is - and I'm conscious that what's happening is that questions are  
15 being asked by my friend and the witness in fact is perhaps going further with the answer. That perhaps illustrates the very difficulty. I'm conscious of what the court said about wishing to find out what the factual position  
20 was in 1994, and, if the witness can identify with some specificity what he observed in different places, that may assist the court. But what's going beyond that right now is the very problem that I sought to identify in the  
25 earlier submission, I put to your Worship, and it's to be guarded against in what would be a lengthy inquest because it can only complicate, I would submit.

30 THE CORONER: Yes, thank you, Mr Johnson.

MR WOODWARD: At page --

A. Could I just finish on that?

35 Q. I want to come to specific references in the report, Mr McBeth, where you talk about your concerns as to what might happen on the conflagration event, and perhaps that might be an appropriate time at which to go back to that  
40 issue.

In addition to the program that you've outlined at pages 12, 13 and 14 of your report, you also requested submissions from agencies in relation  
45 to the practices then being undertaken, and

these are referred to at page 15 of your report. But, as I understand your report, the only submission you did receive was a submission from the ACT Bushfire Council; is that correct?

5

A. That's correct.

Q. And that's an attachment to your report?

A. It is.

10

Q. And in your report, you - and I want to come to this briefly later - you set out, if you like, a commentary on the various paragraphs of that Bushfire Council submission?

15

A. I did.

Q. And you received no other submissions; is that correct?

A. That's correct.

20

Q. Finally, in terms of preparation of your report, Mr McBeth, at page 20 of your report, which is at 0026, you refer to down the page towards the bottom, "Public perceptions and a socio political perspective", that heading:

25

After discussing the issues with departmental staff, I considered it appropriate to seek the opinions of rural urban interface residents. Therefore, during the evenings of 30 and 31 May and 1 June 1994, I visited a number of suburbs where interface issues arise.

30

35

You set out in the following four pages a summary of what you learnt from those discussions that you held with those residents; is that correct?

40

A. Correct.

Q. And you set out also at the top of page 21, which is the following page in the document, the areas visited, and the first of those is Stromlo Pine Forest, houses off

45

Warragamba Road. Why did you choose that area, Mr McBeth?

5 A. Because it was blatantly apparent to me, with the knowledge that I have, that it would be one of the first places to disappear in a conflagration event.

Q. The other places - your selection of the other places, was that for similar reasons?

10 A. Yes.

Q. Finally - I think I said finally last time, but I forgot to mention the documents that you also looked at, and those are listed at appendix 1 of your report, following page 15 35. Were those documents incidentally documents that you were provided with, or did it provide a combination of some that you were given and others that you took upon yourself to find and review?

20 A. It was a combination of both.

Q. Yes. Does that in effect summarise the work and research you under took for the purposes of the preparation of the report, those four areas of investigation?

25 A. It does.

Q. I don't want to go to the report in minute detail, Mr McBeth, but there are some issues I'd like to ask you about. Starting on page 2 where you set out what I understand to be - and this is at 0008 of the document and over the page, you set out verbatim, I think, the terms of reference that were provided to you; is that correct?

30 A. This is page?

Q. It's page 2 of your report.

40 A. Yes.

Q. Under the heading "The project and the process".

45 A. Correct.

Q. That is just a verbatim statement of what appears in the attachment document we referred to earlier?

A. It is.

5

Q. Perhaps if you could explain, because it's relevant to what you then did, what you understood by the ambit of those terms of reference?

10 A. Well, I understood my role to be that of an examination of what the Parks Service effectively did to reduce the impact and spread of fire throughout its lands within the ACT and the associated impacts that could occur on  
15 built assets and people.

Q. And so in that sense you were looking at the practices that were then currently in force; is that correct?

20 A. Yes.

Q. And were you asked - I think in paragraph 3 - did you understand that to be asking you to reflect upon how effective those practices  
25 were?

A. Indeed.

Q. And finally, over the page, under the heading "The outcome", there's a list of bullet  
30 points, concluding with the expert's recommendations. It's not apparent to me from the terms of reference, Mr McBeth, what sorts of recommendations were you being asked to give, as you understood it?

35 A. As I understood it, I was to give a set of recommendations which would improve the effectiveness of the ACT Parks Service through examining the bushfire continuum as it applied to them, which is prevention, protection,  
40 control, suppression and management and recovery from bushfire scenarios.

Q. So in other words to the extent that you found that the practices which you identified  
45 may not have been effective, as you understood

it you were being asked to suggest ways of improving those practices?

A. Absolutely.

5 Q. At the top of page 4 of your report, Mr  
McBeth, I think you set out, in effect, what  
you referred to earlier - that is, your concern  
at least that - or at least the theme that  
dominates the report, I suggest, that bushfire  
10 has not recognised nor conformed to cadastral  
boundaries being lines on maps, fences and  
property boundaries. You there set out in  
capital letters:

15 Therefore, the author contends that no  
portion of land within the ACT should  
be considered, treated or managed in  
isolation of the whole.

20 That, in effect, permeates the balance of your  
report; is that correct?

A. That's correct.

25 Q. You then deal with some issues relating to  
fire fuels, but, over the page, on page 6,  
which is 0012, you make some reference  
specifically relevant to the ACT. If I just  
read this to you and then ask you to perhaps  
elaborate to some extent on what message you  
30 were trying to convey:

Fires of the intensity described and  
far greater are beyond the capacity of  
any fire service to contain or  
35 suppress, irrespective of the  
service's physical volume, equipment  
resource or competence. Fortunately  
the ACT urban rural interface does not  
contain significant escarpment or  
40 ridge line residential area, where  
fire intensities generated by fire  
running uphill can be far in excess of  
the conditions described for the ACT.

45 And you refer to Mount Macedon and so on.

Could you perhaps explain what you mean by that and how it's relevant to the fuel management issue?

5 A. Well, the way Canberra has been laid out lends itself to very, very effective bushfire prevention protection, on the proviso that the fuels are managed. It was my view that the fuels weren't being managed appropriately.

10 Q. So you weren't saying there that it followed from that that fuel management was a lesser concern than perhaps in the areas that you've referred to?

15 A. No, what I'm saying is that, if the fuels were managed in a reasonable and appropriate way, as they were, for argument's sake, in Victoria or South Australia, then the likelihood of severe impact would be reduced significantly when you get conflagration fires  
20 occurring. If you've done the prevention work in terms of fuel reduction and you've got an adequate access track network, plenty of access and all this work completed, then it's far easier to put into place strategies to reduce  
25 the likely spread and impact of those fires through controlled burning, additional prescribed fire, whatever.

30 Q. And again, in the following paragraph you make a point that I think you make elsewhere in the report:

35 To reduce the impact of the type of fire disaster that will occur in the ACT, resulting in the loss of life and significant property damage, individuals, families, street communities and government agencies as a whole must manage the only  
40 manageable component of fire physics, in a collective cooperative manner.

45 Then you go on to describe what the fire physics are. Just focussing for a minute on the issue of cooperation between those various

groups identified, was it your observation at the time that that had been occurring?

5 A. No, it was my observation that it was the reverse, that agencies were effectively doing their own thing in isolation of others and, more importantly, the community was completely naive or uneducated about the likely degree of impact that would occur as a result of conflagration fires.

10

Q. Were you given any information about the community education or any community education campaigns that might have addressed that at the time?

15 A. Yes, I was. And there was an admission from those who gave me that information that the major program had failed.

20 MR JOHNSON: The question is if something is handed over, something is said, who and when. If this evidence is to be heard by your Worship, and I've already placed an objection on the record, but it is a question - and there isn't a statement that's coming  
25 forward. I'm conscious that what'shappening is my friend is asking the witness to speak to a report, but there are degrees of elaboration, and if they are to be at all helpful and if I'm to have any chance to get any instructions  
30 between now and a future time if this witness is to return, there has to be some clarity.

35 THE CORONER: I agree with that, Mr Johnson. That's a fair comment. If Mr McBeth does have this information, it would be helpful.

40 MR WOODWARD: There's a specific reference later in the report to that very program and I was going to ask Mr McBeth about that in more detail. But if it assists your Worship, that was the community - I'm trying to get the name of it up, and you do refer to it later in your report. Just excuse me for a moment,  
45 your Worship. Yes, there's a reference on page 0048, which is actually in the submission from

the Bushfire Council in paragraph 15. I'll read that to you:

5 Council is also aware that the ACT  
Parks and Conservation Service and  
Forests use volunteers for a wide  
range of purposes including areas  
related to fire management such as  
education about fire management; fire  
10 trail maintenance and neighbourhood  
firewatch. They are not Rural Fire  
Service members and are not trained  
firefighters.

15 In your comments in response to the submission  
you say:

20 I'm advised that the neighbourhood  
firewatch project failed some time  
ago.

Who advised you of that?

A. Peter Lucas-Smith.

25 MR WOODWARD: If that's a convenient time,  
your Worship.

30 THE CORONER: We'll take the luncheon  
adjournment and resume at 2 o'clock.

**ADJOURNED**

**[1:01pm]**

**RESUMED**

**[2:00pm]**

35 THE CORONER: Mr McBeth, you're still under the  
oath that you took this morning.

40 MR WOODWARD: Before the luncheon adjournment,  
Mr McBeth, I'd referred you to passages in your  
report at page 6 which deals with the - under  
heading "fire fuels". You conclude that  
section of your report on pages 8 and 9, and if  
I can just read to you those few paragraphs and  
then I'll ask you to provide some comments:

45 As a psychological consequence of not

being subjected to the traumas of  
fires such as Hobart 1967, the Ash  
Wednesday events of South Australia  
and Victoria 1983 and latterly the  
5 milder 1994 fires in New South Wales,  
the collective ACT psyche subconscious  
says "it won't happen to me or mine"  
as the community has not been directly  
impacted by a single fire disaster or  
10 multiple wildlife conflagration event  
for a significant period of time. The  
author contends it is not if such  
conflagration fire disasters will  
occur in the ACT and on its urban  
15 rural interface, but when. The only  
effective strategy to ameliorate the  
impact of such an event or events in  
the ACT is to resource the bushfire  
continuum functions appropriately.  
20 The ACT Parks and Conservation Service  
is but one component of that process.

So in that section you're again referring to  
your concern that it's simply not possible to  
25 provide an effective bushfire fuel management  
by dealing with one agency in isolation?  
A. Absolutely, correct.

Q. And you referred earlier to your  
30 expectation about what was going to happen, and  
that's reflected in that paragraph as well?  
A. It is.

Q. We then move on in your report, Mr McBeth,  
35 to what you've headed up "The Process  
Environmental Policy Matters", and I don't want  
to read this section, but at page 10 of your  
report, 0016, on the second half of that page,  
you set out in the paragraph commencing:  
40

The bushfire management practices  
activities and programs...

Et cetera. Is it correct that that is in  
45 effect your response to the terms of reference

to the extent they asked you to comment on was what they were doing effective?

A. Yes, that was my understanding.

5 Q. And in response to that you said:

10 The effect of the programs implemented by the service and other ACT land management agencies does not, in the author's view, provide adequate safeguard against the impacts of major single or multiple (conflagration) wildfire events in the ACT.

15 A. Correct.

Q. And you then later on in the report provide some recommendations which you believe addressed those issues?

20 A. 40 of them I think.

Q. Yes. Over the page, Mr McBeth, you refer and in effect adopt a report by Mr Phillip Cheney on the Hannon Group report which deals with the structure of the ACT Bushfire Fire Council and other matters, and you actually attached that, Mr Cheney's report, to your own report; is that correct?

25 A. I did.

30 Q. I want to ask you about some passages that appear in Mr Cheney's report more specifically and ask you to provide more specific comment other than just adopting that in its entirety, as to your view in relation to the matters referred to by Mr Cheney. Mr Cheney's report starts at page 0052 and it's attachment 2 to your report. Do you have it there in front of you?

35 A. I'm sure it's here somewhere. Right, I've got it.

40 Q. Under the heading "Summary" at 0052 on the second half of the page, the second last bullet point on that page, Mr Cheney's report says:

45

5 Because land managers do not have  
authority over fire suppression, the  
organisation of rural fire protection  
in the ACT is fundamentally flawed.  
It has been flawed under the  
10 organisation of The Bushfire Council  
and the formation of the Rural Fire  
Services and it will continue to do so  
under any of the options of the Hannon  
Group Report.

What were your observations in relation to that  
issue at the time you prepared your report?  
15 A. My opinion on that matter is exactly the  
same as Mr Cheney's.

Q. That is, there needs to be a coincidence  
of fire suppression with the land management  
20 responsibility?  
A. Yes.

Q. I'll take you to a couple of the reasons  
Mr Cheney refers to as to why he had that view  
25 and ask you again to comment. Over the page,  
0053, again in the bottom half of the page, at  
paragraph 4, Mr Cheney says:

30 Because the consultants [that's the  
Hannon Group] were from a fire service  
background within metropolitan fire  
brigades and not from a land  
management background, I believe they  
35 adopted the attitude that the most  
appropriate policy for the whole of  
the ACT is to suppress all fires at  
minimum area.

40 Again, Mr McBeth, what was your observation in  
relation to that issue?

A. Well, that's an ideal which is inevitably  
not possible.

45 Q. Not possible in the context of wildfire?  
A. Exactly. Unless you have inordinate

amounts of resources and you can respond to an incident on an even moderate day within 20 minutes, you probably won't contain it.

5 Q. He goes at the end of that paragraph to say:

10 A more effective alternative is to place the prime responsibility with the landowner and include a cooperative action between individual home owners and land managers.

Do you agree with that?

15 A. Absolutely. But I would add that I think that needs to be legislated for.

Q. That is, the cooperation needs to be legislated for?

20 A. Yes.

Q. And you made some recommendations in this regard in your report?

25 A. I did.

Q. Again, in a similar vein, on page 4 of that document, which is 0055, again in the second half of the page, Mr Cheney says:

30 However, the current arrangement [that is, the arrangement within the Bushfire Council and the Emergency Services Bureau] has further distanced the land managers from their  
35 responsibility to put out fires on their own land and left the ACT with a Rural Fire Service which has no land management responsibility and in practice and philosophy differs little  
40 from the urban fire brigade.

Further on he says:

45 If this occurs it will reinforce the philosophy of a fire brigade to

5 suppress all fires at minimum area.  
This philosophy is not appropriate for  
the suppression of rural fires or for  
fire management in rural areas or for  
planning defence against conflagration  
fire in order to minimise fire damage.

I take it from your comments earlier that you'd  
agree with that --

10 A. Yes.

Q. -- for that reason?

A. Yes.

15 Q. Two pages further on, at paragraph 13 of  
Mr Cheney's report, 0056, the top half of the  
page, part way through paragraph 13, he says:

20 This is why the responsibility for  
fire suppression must rest with the  
rural land manager. Our recent  
experience within the ACT clearly  
demonstrates that if the land managers  
do not have the responsibility for  
25 fire suppression, then they will be  
recalcitrant about fire management and  
not take the appropriate actions to  
help reduce the intensity of a fire  
which may burn through areas under  
30 their control. Although the BFC  
[Bushfire Council] has been requesting  
land managers to undertake fuel  
reduction, practically nothing has  
been done over the last decade.

35 Again, Mr McBeth, is that consistent with your  
own observations?

A. Completely consistent with what I found  
when I came here.

40 Q. Perhaps dividing that up, the reference to  
recalcitrant, is that something you observed?  
A. It was.

45 Q. And did you have any direct experience of

requests by the BFC or for that matter anyone else in relation to attempts to improve the fuel reduction regime?

5 A. The only people that I recall had the level of anxiety about the issue that I thought was appropriate were Peter Lucas-Smith and his technical support officer, whose name escapes me immediately.

10 Q. Mr McRae?

15 A. Mr McRae. I found that both forests and parks lacked the degree of understanding and the emphasis on this issue that is required when you've got an enormous urban population next to these fuel loads.

20 Q. And was it your impression or opinion at the time that that resulted from the fact, at least in part, of this failure to have a coincidence of interests between those responsible for fire suppression and those responsible for land management?

A. I'm sure it is.

25 Q. Did you have discussions with Mr Lucas-Smith about that?

A. I did.

30 Q. Perhaps I should ask you what you said earlier. Is that the essence of what he expressed - the views he expressed to you about this matter?

A. Yes.

35 Q. Unfortunately this is rather a long passage but I do think it's of assistance to your Worship for me to read this section of Mr Cheney's report. It commences in paragraph 18 on page 0057, which is page 6 of the document  
40 you have, Mr McBeth. Down at the bottom of the page, under the heading "Potential for Conflagration":

45 The fundamental basis for disaster management, which includes bushfires

in Australia, is to carry out an analysis of the worst-case scenario.

5 Pausing there, is that the approach you took to your report?

A. Yes.

10 Q. Our knowledge of fire behaviour and fire weather is adequate to realistically put a worse-case scenario to the people of the ACT and perhaps to estimate a frequency of occurrence and to estimate the damage which is done. We know that, no matter how good a  
15 fire prevention program we create, we cannot eliminate all sources of ignition. Even in a perfect world where there is no malicious lightning and no accidents, there would still be  
20 ignitions from lightning.

I think that should be "no malicious lightning".

25 We also know that fire weather conditions will occur periodically over the ACT where a single ignition will be uncontrollable by any means and regardless of the efficiency of the fire suppression organisation in  
30 place, an extensive area will be burnt.

Again, pausing there, was that your view at the time?

35 A. It was my view at the time. However, if the measures that have been recommended in this report of mine had been put into place, the intensity and impact and spread of some of those fires would have been significantly  
40 altered.

45 Q. In the next section, Mr Cheney deals with the very issue we spoke of earlier, namely the capacity of even the world resources fire suppression unit to deal with this type of

fire. He says commencing at paragraph 20:

5 My estimate is that a one-fifty-year  
conflagration fire will burn a total  
area of around 60,000 hectares in one  
day and severely damage suburban  
dwellings where they are adjacent to  
forests, hill parks and nature  
10 reserves. Under this scenario, the  
firefighting resources of the ACT will  
be totally overwhelmed. They will not  
have enough tankers or pumpers to  
attend every house threatened, and by  
and large destruction will be limited  
15 only by the action that residents  
themselves take both before the fire  
occurs to reduce the fuels around  
their homes and during the fire to  
suppress embers and spot fires  
20 starting in their gardens and  
dwellings.

He says:

25 In a year such as this summer [that is  
the summer of 1991 - I presume  
1990/1991, when his report was  
written] it is easy to develop an  
apathetic attitude towards bushfires.  
30 However, it is not the average fire  
season which does the major damage.  
It is that season where you get a  
combination of drought, high winds,  
high temperatures, low humidities and  
35 an ignition source combined a  
pre-existing heavy fuel load that lead  
to conflagration fires which in over  
all do 90% to 95% of the total damage  
of all fires.

40

From your own considerable experience, what  
would you say about those observations?

A. I agree completely with what Mr Cheney has  
written.

45

Q. I won't read the next three paragraphs, Mr  
McBeth, but I will just mention that they  
provide a summary of a fire that occurred in  
California, which, according to Mr Cheney, has  
5 one of the most advanced firefighting  
capabilities and yet led to serious loss of  
life and property on the urban rural interface.  
He says at the conclusion of paragraph 23:

10 Now, a number of fire authorities in  
America have been forced to recognise  
the concept of defensible space in  
which a key to providing protection  
for home units in the suburban/rural  
15 interface is a neighbourhood program  
which coordinates activities to reduce  
fuels, control tree planting and  
provide for an urban development in  
which firefighting and individual home  
20 protection can be undertaken by the  
residents themselves.

Do you have any direct knowledge of that fire  
and the response to it as outlined by Mr  
25 Cheney? I was going to say direct knowledge.  
Is that within your area of experience in terms  
of your expertise in the area?

A. I believe so. The South Australian  
Country Fire Service has established such  
30 bushfire prevention programs and processes with  
local communities at a street level and at a  
community level and then at a town level and  
then regional level. So I concur with what he  
says.

35 Q. Just before the break, we referred to the  
program we were told about at the time of your  
research. Apart from that program were you  
given any information about any other community  
40 education programs that were being pursued at  
that time?

A. No, I wasn't, and I don't believe there  
were any other programs being pursued at that  
time.

45

Q. Was that belief based on the discussions you had with residents in areas that you preferred to deal in?

5 A. It was as a consequence principally of discussing the matters with officers in parks and Peter Lucas-Smith and his personnel.

Q. Mr McRae --

10 A. And also with discussions I had with local people out in the community.

Q. Finally, he says:

15 In the ACT we have been moving away from the traditional Australian model, whereby rural fires are fought by the cooperative action of individual land-holders organised into volunteer fire brigades and moving towards  
20 replacing them with a full-time, paid firefighting service. If we continue to do this we will soon take all incentive away from individuals to protect their homes.

25

What's your view on that issue?

A. My view is that the populous of Canberra, by comparison with all the other cities I've worked in, have an almost belief that the  
30 government will provide, and that it isn't really their responsibility to get involved in this sort of work. It's the responsibility of the authorities to provide the community with that level of protection, which of course is  
35 totally inappropriate.

Q. I take it you say it's inappropriate for the reasons referred to by Mr Cheney in his report?

40 A. Yes.

Q. Just returning to your report now, Mr McBeth, on page 14 of the report, which is 0020 in the brief. I think the very point you have  
45 just made appear in the final sentence on that

page:

5 It is alarming to find that the  
apparent levels of complacency,  
ignorance or intransigence that  
appears to pervade ACT Government  
agencies charged with land management  
bushfire-related accountabilities.

10 Although that's a reference to the land  
agencies, not the residents; is that correct?  
A. Yes, that's correct.

15 Q. So you had a similar concern about those  
agencies?

A. I had the same concern about the residents  
and their attitude or level of understanding as  
I did for the agencies concerned. Exactly the  
same concern.

20 Q. Commencing on page 15 of your report,  
0021, you deal with the ACT Bushfire Council  
submission. Can I ask you about the passage  
that appears in the middle of that page, where  
25 you say:

30 It should be noted that some council  
members did not participate in the  
drafting process of councils'  
submission nor necessarily agree with,  
or have sighted, the final document  
prior to it being submitted to me.

35 A. Correct.

Q. How were you aware of that?

A. I was told by a number of people that they  
hadn't had an input and they weren't aware that  
I had received the final document.

40 Q. When you say a number of people, you mean  
members of the council?

A. Yes.

45 Q. Can you recall who?

A. No, I can't. But it was at least two.

Q. Just excuse me for a moment. (Pause)  
Mr McBeth, and I won't ask you to read this  
5 part of the page, but so you Worship is aware  
of it, on page 23 under the heading  
"Conclusion", you deal there in particular with  
aspects of the nature of the ACT or Canberra  
community and how that may have contributed to  
10 there being a less than adequate appreciation  
of the risks faced by the community and in  
particular you mentioned the vast majority of  
these people came from other urban communities  
with no tradition, experience or understanding  
15 of living in the bush or with successive  
bushfires. And was that a view you formed  
based on again discussions with people within  
the community?

A. With those people that I talked to as I  
20 went around to all those inspections, yes.

Q. You commence your summary of your findings  
on page 24. We've covered much of this  
already, but I just want to ask you about what  
25 appears at the very end of that summary, page  
26 to 27, where you say this:

Culturally, socially, politically and  
departmentally, the ACT community is  
30 and has been lulled into a sense of  
false security with regard to ravages  
of bushfire. If the existing  
government statutes, departmental  
structures, reporting relationships  
35 and programs of wildfire mitigation  
works continue as currently  
structured, it is inevitable that  
significant loss of assets will  
accrue, together with loss of life  
40 during the next single, multiple or  
conflagration fire event. The urban  
rural interface will obviously bear  
the brunt of such losses.

45 Over on page 27, which is 0033:

5 The author stresses a set of climatic conditions will eventuate producing fire weather conditions of such an intensity that such losses will occur. It is not if such a disaster will occur, but when.

10 You then comment on the next current fire season. Mr McBeth, comments have been made in the press and elsewhere in relation to the events of January 2003 that the extent of the damage caused by those fires could not have been predicted. Based on what you've said in  
15 your report, what's your response to that?

MR JOHNSON: As to that, this is an issue that I raised earlier, you Worship. The witness has been asked to comment on statements in the  
20 press. What the witness is really being asked to do is to express an opinion based upon his observations and opinions in 1994 with respect to events in 2003, which must have regard to a whole lot of factual information, fuel loading,  
25 land management practices, the fire behaviour, quite apart from the question of the current approach in 2003 to fighting bushfires. He's really being asked to express an ultimate opinion about the 2003 fires, and although it's  
30 being asked in the way it is, that's really what's being asked, and in my submission, if that question is to be asked, it ought to wait to a time in this inquest when there is a body of evidence before this inquest which may  
35 provide a factual foundation for the answer. To ask the witness to comment in that way, in my submission, is to seek his opinion on the actual fires this year when, as I understand  
40 it, he hasn't been commissioned to prepare a report. We've seen no further report on those matters where he has regard to the factual conditions as they are now, including the approach to fuel management since 1994.

45 So I would submit that it is a question which

should not be allowed. There is of course a question as to the inter-relationship between the opinions expressed, the views expressed by the witness in 1994, which can ultimately be tested against the body of evidence which will be before the court, and there is scope for argument to take place perhaps, witnesses to be asked questions, ultimately experts will be asked questions as to whether what was identified by the witness in 1994 is applicable to what occurred in 2003. But in my submission, on day two of phase 1, at the very preliminary stage of this inquest, this is not the appropriate time to ask the question. That is not to say it should never be asked, but at this stage it should not be allowed, I submit.

THE CORONER: What do you say, Mr Woodward? I'm just thinking whether or not it's fair to ask Mr McBeth that question.

A. I'm quite happy to answer it.

THE CORONER: I'm sure you are.

MR WOODWARD: I'm sure he's happy to answer it. You Worship, this is an inquest and in those circumstances, ultimately it's a matter for you Worship to attribute weight to evidence. This is an early stage in the inquest. It happens to be the point at which this witness has been called. He has considerable expertise. If ultimately the evidence is that the nature of the threat was so changed between 1994 and 2003 that any answer that he gives to this question is of no use to you Worship, then so be it, but as things stand at the moment, in my submission, if the evidence is to the contrary, namely that little had changed, then you Worship will be assisted by an answer from this witness, who is clearly an expert in the area, and has expressed views in 1994 which are relevant to the very issue that I put to him; namely, was this predictable?

MR JOHNSON: Could I be heard further on that?

What ultimately has been put by my friend is to reverse the role of an expert witness. An expert witness either has certain facts which he identifies or is asked to assume, which would provide quite detailed factual foundation before an opinion is to be expressed about an event, in this case an event in 2003. What's just been put is that the witness should be asked to express an opinion based upon his observations in 1994 as to what occurred in 2003 and that that opinion should be given now unless a factual foundation for a contrary view is somehow put forward in the future. It demonstrates the danger and, in my submission, the objection to what's sought to be done. If what my friend wanted to do was to seek an expert opinion from Mr McBeth, a report could have been obtained, perhaps which set out a whole series of factual assumptions, which at least would provide a factual substratum for the opinion and put those of us at the bar table who were hearing it in a position where we could consider what the factual substratum is and determine whether we wish to test it at this stage. What's happening now is not that, I submit, and I would submit it should not occur at this time. To ask the question in this way, without factual assumptions, based upon known facts as at January 2003 ought not to be allowed, in my submission.

THE CORONER: I understood what Mr Woodward was suggesting to be slightly different to perhaps the way that you understood it, Mr Johnson. I don't know which one of our understandings is probably more accurate. But I would welcome and value what Mr McBeth has to say in relation to any comment that he wishes to make on what happened in Canberra in 2003, based on the information that he had on what was happening in Canberra in 1994 when he indeed examined the area. If it's shown through the course of this inquest that all the information and all the - I suppose the evidence shows that different planning occurred from 1994 to 2003, then Mr

McBeth's opinion perhaps on this question is not worth much - not much weight can be given to his ultimate conclusion, but if on the other hand that situation is not so, then his opinion  
5 does have some value. So I'll allow that question to be answered, Mr Woodward.

MR WOODWARD: Mr McBeth, I think you've already given an answer, but if you'd like me to repeat  
10 the question.

A. I'd like you to repeat the question again.

Q. What I asked you was whether - and perhaps I'll put it in a slightly different way. Based  
15 on what you observed and the inquiries you made in 1994, do you think an event such as that that occurred in 2003 was predictable?

A. Totally predictable, based on pure fire physics, the fact that there was a drought, the  
20 weather conditions on the day, the available fire fuels, spotting distances. It's all documented. It all indicated basic fire physics, basic fire management, basic - it's fundamental. It's basic to the whole process  
25 of managing and predicting fires. And I visited the ACT on a number of occasions between 1994 and 1999 and I saw no material difference in the way the forests were being managed or the fuels were being manipulated.

Q. Thank you, Mr McBeth. The recommendations  
30 - as you say there are 40 of them - are very detailed and they're all available to be read. I don't propose to go through them because to  
35 some extent - I don't mean by doing that to in any extent diminish them - but to some extent at least in this regard your report was overtaken by events. But I did want to ask you a little bit about the aftermath of the report.  
40 Your report was submitted in about October of 1994; is that correct?

A. It was.

Q. And how was it received, Mr McBeth?

45 A. If I could go back one step, I advised the

5 parks service that I would be providing a report which didn't meet the conditions that they'd set down as the terms of reference, that I had to go outside them because of the level of risk and hazard to the community. I wasn't at all surprised at the response when they effectively refused to receive the report.

10 Q. And that refusal was in the form of a letter to you dated November 1994, which is in that bundle of documents that you have there?  
A. Correct.

15 Q. It's [AUS.AFP.0076.0166], from Mr Crostin. You received that letter?  
A. I did.

20 Q. He says in the second paragraph:  
Your report has moved beyond the agreed scope at the expense of providing 2 required specific recommendations which we were seeking.

25 Two questions about that, Mr McBeth - I think from what you have said before, you agree that your report went beyond the scope of the terms of reference?  
A. It did and it had to.

30 Q. Yes. What did you understand to be the specific recommendations which you were seeking, having regard to the fact that the terms of reference don't actually set out what recommendations are being sought?  
35 A. Well, yes, that's a problem in itself. I believe that I had looked at, as well as possible, what needed to occur within the parks service under its legislative responsibilities

40 and so I had met all the prerequisites, if you like, and then gone beyond them, including everything else.

45 Q. I see. He then goes on to say:

5 I request that you resubmit your report, including only detail on the current management practices of the parks and conservation service and how these can be improved within the existing government structure.

10 In your view, Mr McBeth, was that possible; that is, to improve materially the management practices of just that service within the existing structure?

15 A. No, it wasn't, and I believe that ultimately when this event occurred, which we're now sitting in, I would have been found to be culpably negligent myself if I hadn't pointed out everything that I did.

20 Q. Did you have any discussions about that issue after that letter was received?

25 A. Yes, I had a number of discussions. Effectively, the department was asking me to remove certain sections of the report and I refused, again for the same reasons of having to face a coronial and possibly civil litigation later. And I said that my report would stand as it was and I wasn't prepared to alter a word.

30 Q. You then had some correspondence, I think, with both Mr Crostin and also you sent a letter to Mr Lamont, the Deputy Chief Minister and Minister for Urban Development, on 25 January 1995, which is in that bundle, [AUS.AFP.0040.0068], where you explain the 35 circumstances in which the report was prepared. You say in the final paragraph on page 2:

40 I would suggest that you discuss this matter with the Chief Fire Control Officer for the ACT, Mr P Lucas-Smith, who is in a position to elaborate first-hand the frustrations and difficulties that exist in some quarters concerning the assistance 45 given to the author in developing this

5 opinion and the potential civil  
litigation implications if the ACT  
Government fails to act on the  
recommendations contained within the  
author's report.

Did you have some discussions with  
Mr Lucas-Smith to that effect?

10 A. Yes, I did. Peter and I have known each  
other professionally for nearly 20 years I  
think and obviously we discussed all these  
issues in great depth.

15 Q. And what frustrations are you referring to  
that Mr Lucas-Smith could assist with?

A. I don't recall the detail now.

20 Q. You received a response from Mr Crostin on  
9 February, which is a document in that bundle  
which concludes:

25 As I believe that the services provide  
all of the required information [that  
is information to you] and given your  
reluctance to resubmit the report as  
requested, I unfortunately have no  
alternative but to withhold payment  
and seek the provision of another fire  
management expert opinion from  
30 elsewhere.

That's what happened, isn't it, Mr McBeth, you  
weren't paid for your report?

35 A. No, I wasn't paid for that report by that  
government.

Q. At that time?

A. Yes.

40 Q. Shortly after that time, Mr McBeth, and  
it's the second last page of the bundle,  
there's a press release from ACT Parks and  
Conservation Service, which refers to the  
circumstances in which your report was rejected  
45 and it concludes, and this is at

[AUS.AFP.0040.0063]:

5           The service has recently assessed its fire management hazard product practices in conjunction with the Department of Urban Services and both organisations are satisfied the current practices are effective.

10        Are you aware as to what that assessment comprised?

A.    No, I'm not. It certainly wasn't based on my report.

15        Q.    Finally, Mr McBeth, there's a report in that bundle you have, a report in the 'Canberra Times' of Thursday, February 16, 1995, where you're quoted as making some comments, and I hope I don't offend anyone by asking you this  
20        question, but I'll read to you those quotes and get you to comment on whether or not those are accurate quotes as best you can recall. You are said to have said:

25           There are profound problems in Canberra that need to be addressed concerning bushfire prevention. I admit I might have gone further than  
30        the terms of reference, but that is because there were problems that had to be pointed out. The money they owe me is the least of my concerns. My concern is that I have seen many  
35        firefighters lose their lives and I've seen people and children burnt and I don't want to have to appear in a Coroners court in the ACT in the next year or so and say, "Well, I told them  
40        so".

Do those accurately reflect the comments you made to the 'Canberra Times' reporter?

A.    They do.

45        Q.    Just one final matter, Mr McBeth, and if I

can just introduce this by referring your  
Worship to the Hansard for the Legislative  
Assembly for the Australian Capital Territory  
at page 3646 for week 11, 26 September.

5

MR STITT: Is there a copy of that available?

MR WOODWARD: There isn't a copy available, your  
Worship. It's of 1996. My learned leader  
referred in his opening to the change of  
government leading to the payment for the  
report. I just thought it might be a  
convenient way to introduce this topic by just  
reading from that Hansard extract. As I  
understand it, it's not at all controversial:

10  
15

Members of the Assembly will recall  
the serious impacts of the bushfires  
in Sydney...

20

I beg your pardon, your Worship, this is a  
speech by a Mr Humphreys, I believe, following  
the change of government in 1996 and  
introducing amendments to the Bushfire Act:

25

An independent consultant engaged by  
Parks and Conservation Service was  
critical of some of the bushfire fuel  
management practices followed by land  
managers. That report was undertaken  
by the former deputy chief of the  
South Australian Country Fire Service,  
Howard McBeth. Mr McBeth's report was  
never accepted by the former  
government and was put in the bottom  
drawer, never to be seen again - until  
the election that is. During the 1995  
election campaign, I released Mr  
McBeth's report. Not only had its  
contents been ignored and suppressed  
by the Follet government, but to add  
insult to injury they refused to pay  
Mr McBeth for his work. Immediately  
upon coming to government I ordered  
that payment be made. I also

30  
35  
40  
45

5 established the bushfire fuel  
management task force under the  
chairmanship of Mr Graham Glenn AO to  
review bushfire fuel management  
practices. On 21 August 1995 I  
released the findings of the task  
force for comment by relevant  
agencies, interest groups and  
individuals. During that consultation  
10 process a number of comments were  
received, adding value to the task  
force outcomes.

15 Mr McBeth, at least the establishment of such a  
task force in effect was one of your  
recommendations; is that correct?

A. It was.

20 Q. Did you play any role at all in that task  
force or in relation to the report that was  
subsequently produced?

A. No, I didn't.

25 Q. Were you asked to comment on the report at  
the time?

A. No, I wasn't.

Q. Have you since had a look at the report?

30 A. I've looked at the report in the last four  
days.

35 Q. Without wanting to go into too much  
detail, Mr McBeth, I'd ask you to comment on  
whether or not in your opinion the report meets  
the concerns raised by you in your report, and  
if so, what extent?

40 A. It raises most of the concerns that I  
raised, but not all of them. And identifies in  
some depth or detail enabling strategies to  
improve the situation here, but I have no idea  
what actually transpired after the report was  
received by the government.

45 MR WOODWARD: I have no further questions.

THE CORONER: That was the Glenn report?

MR WOODWARD: That was the Glenn report,  
your Worship, which for the assistance of  
5 parties is included in the brief in folder 1,  
and it's [AUS.AFP.0041.0001]. And once Mr  
McBeth leaves the witness box, your Worship,  
I'll be going through that report, together  
with some other documents, to provide a summary  
10 of some of the relevant parts of that, if  
your Worship pleases. Thank you.

THE CORONER: Yes, Mr Johnson.

15 MR JOHNSON: Thank you, your Worship. As I  
indicated earlier, there have been a number of  
matters raised by Mr McBeth orally today as to  
which I need instructions. I should indicate  
that it's my current view that I would not wish  
20 to ask any questions of Mr McBeth. His report  
is part of the history. He's just given  
evidence referring to the Glenn report and no  
doubt the court will hear evidence as to what's  
happened since that time.

25 But in so far as he has raised today some  
specific aspects relating to certain persons, I  
would wish to have an opportunity to seek some  
instructions. If the occasion did arise that I  
30 did wish to ask any questions of the witness,  
if I could speak to counsel assisting, that may  
or may not occur, I have to say, but I do need  
a chance to get some instructions. Subject to  
that, the history of what has occurred since as  
35 a result of the report of Mr McBeth is clearly  
a matter that's relevant and I think it will be  
the next subject taken up by counsel assisting  
with the court. So I have no questions at this  
time. If I do, I'll seek to raise it through  
40 counsel assisting.

THE CORONER: When do you expect to know  
whether or not you will have some questions of  
Mr McBeth?

45

MR JOHNSON: I would seek to get some instructions. It may take a few days. There are a few individuals that have been referred to. It's essentially because there wasn't a statement, your Worship. And I'm not being critical. There's a lot of documentation and it's a large inquiry. And it may be that there will be no questions. So I'm not asking that the witness be kept in Canberra in some way in a sort of holding pattern.

THE CORONER: You're simply flagging that if there is an issue, that it may be subject to your availability, Mr McBeth. It might be necessary for you to come back, if you're able to do so at some later stage. But not necessarily to stay on now.

A. I'm here until Friday afternoon, your Worship, anyway.

THE CORONER: Well, there we go. But it may well be that in the interim, Mr Johnson's issues might be addressed. We might be aware of that before Friday.

MR JOHNSON: I'll see what I can do, your Worship.

THE CORONER: That's as much as you can take it.

MR JOHNSON: I've placed on the record what your position is. Thank you, your Worship.

THE CORONER: Do you have any questions, Mr Stitt?

MR STITT: Yes, thank you.

**<CROSS-EXAMINATION BY MR STITT**

MR STITT: Mr McBeth, I want to ask you some questions about fire intensity. Do you agree with this proposition, that fire intensity is a calculated number that represents the rate at

which heat is released from a lineal segment of the fire perimeter?

A. I do.

5 Q. And is the number expressed in kilowatts per metre of fire edge?

A. Kilowatts per square metre of fire front.

Q. Is that lineal metres or square metres?

10 A. Lineal metres.

Q. Does that mean that at each metre of fire front, a certain quantity of energy expressed in kilowatts is released?

15 A. It is.

Q. And is the intensity of the fire able to be measured by the number that that kilowatts represents?

20 A. It can if you've got the instruments capable of standing in front of it, yes.

Q. And I think that the rate of spread obviously depends upon factors such as wind speed?

25 A. That's one factor, yes.

Q. Fuel load?

A. That's another.

30

Q. The type of fuel that's being burnt?

A. Agreed.

Q. And I suppose ultimately the direction at which the wind is blowing?

35

A. Well, the spatial arrangement of the fuel and the direction in which the wind is blowing.

Q. Now, if the wind is intense, does that add to the fire intensity; in other words, if the wind is strong, does that add to the fire intensity?

40

A. Well, I'd start my response by saying I'm not a fire physicist and you should ask these questions of one of those, but it is my

45

experience as a firefighter that either can occur.

5 A. Well, in your report you talk about fire intensities with various fuel components. Do you agree that the intensity of a grass fire may range from 10 kilowatts per metre for a slow moving backing fire in light fuels to around 60,000 kilowatts per metre at the head of a very fast wildfire.

10 A. Well, it would depend on the fuel load and I would prefer not to comment on that. As I say, I'm not a fire physicist, but I would say that obviously the larger the fuel load, and the greater the wind speed, generally the greater the intensity.

20 Q. Well, if one assumes that on 18 January the wind speed varied somewhere between 70 kilometres per hour and possibly as high as 200 kilometres per hour, would that have a relevance on the fire intensity?

A. It would in some topography and it wouldn't in others.

25 Q. Did you in your investigations or inquiries obtain some indication of the fuel load that was available as at January 2003 in the various parts of the ACT where this fire traversed?

30 A. Yes, I --

Q. What was your assessment of that fuel load?

35 A. Well, there wasn't one. There were many, because of A, the types of topography and, B, the types of vegetation associations that the fuel loads were in.

Q. Did you make more than one assessment?

40 A. I did.

Q. What were they, please?

45 A. They were that if one can generalise, the fuels which were going to impact on the urban rural interface were far higher than they

should have been.

Q. Of what order?

5 A. I couldn't now give you an order. I didn't physically measure the fuel loads. I should have.

10 Q. But that also would be a relevant factor, having regard to the question of the intensity of the fire on 18 January?

A. In some areas, yes.

15 Q. You may not wish to comment, but is it likely that as at 18 January, under the conditions then prevailing in the afternoon, that the fire intensity was as much as 100,000 kilowatts per lineal metre?

20 A. Well, if that had been the case in the suburbs, nobody would have survived. It may have been the case on the peaks of the up slopes and some of the heavily forested topography.

25 Q. Have you seen the anecdotal evidence that suggests that things like aluminium boats were utterly charred into dust? Have you seen that anecdotal evidence?

30 A. I haven't seen it on this fire, but I've experienced similar phenomena in many, many other fires.

35 Q. Assume that there were anecdotal evidence of aluminium boats being charred to dust. What sort of temperature in your judgment would that indicate the fire possessed at that time?

40 A. Again, I'm not a fire physicist. You'd need to ask somebody like Caird Ramsay that question. However, again from my firefighting experience on Ash Wednesday in particular, aluminium structures were melting at in excess of 400 kilowatts per square metre of fire front.

45 Q. I'm sorry, in excess of 400?

A. In excess of 400. It might have been

less.

Q. I see. If there is anecdotal evidence  
that motor vehicles were burnt right down to  
5 the chassis, so that there was only a metal  
structure left, what sort of temperature would  
that indicate that the fire possessed at that  
time?

A. You'd have to ask somebody else that  
10 question.

Q. You couldn't comment?

A. No. Pretty damned hot.

15 Q. In terms of distance travelled, is it a  
matter of commonsense that the higher the wind,  
the faster and further the fire will travel, or  
are there other factors which affect it?

A. There are other factors which affect it.

20 Q. Such as?

A. Well, the topography, the available fuel,  
the spatial arrangement of the fuel. Those are  
some that immediately spring to mind.

25 Q. Have you investigated at all the pattern  
of this fire, particularly on the 18th, so far  
as distance travelled and time within which  
that distance was covered by the fire?

30 A. No, I haven't.

Q. So you wouldn't be able to comment as to  
whether it was quickly approaching Canberra or  
whether it was slowly approaching Canberra or  
35 whether there was a reasonable judgment to be  
made about its likely arrival at the Canberra  
suburbs?

A. I would say it was travelling at the speed  
that most conflagration fire events travel at,  
40 which is relatively fast.

Q. I'm sorry to press you, but can you give  
us some indication of what you mean by  
"relatively fast"? How fast is "relatively  
45 fast"?

A. Again, I can only speak from experience and relatively fast can be up to about 45, 46 kilometres an hour, with a spotting distance of only 600 metres.

5

Q. And what sort of wind intensity would generate that degree of speed of travel of fire?

A. Consistently over 60 kilometres an hour, gusting over 80.

10

Q. Are you familiar with the concept of down bursts?

A. I don't know the term.

15

Q. Are you familiar with the concept of intense vortices around the fire?

A. Oh, yes, absolutely.

20

Q. And the fire sometimes itself generates additional wind conditions; is that so?

A. I would contend that all fires do that. It's just a degree of magnitude.

25

Q. I see. And is that a factor that needs to be taken into account when making assessments as to the distance over which the fire might travel and the speed at which it might travel?

30

A. It always has to be borne in mind that that sort of event may be occurring or about to occur.

Q. So you say it is a factor that you should take into account?

35

A. You should attempt to, but it's very difficult to predict where vortices or firestorms of some form are going to occur.

40

Q. So would you say it would be extremely difficult to make accurate prognostications about the rate of travel of a fire or the speed at which spotting occurred?

A. No, that's relatively easily calculated.

45

Q. Why do you say that?

5 A. From the modelling that's been done since about 1971, models are available whereby you can put into the machine, for want of a better term, all the known parameters and have the rates of spread and spotting distances and the general levels of kilowatts per square metre of fire front thrown out.

10 Q. Did you make any inquiries as to the spotting distance of this fire, particularly on the 18th of January, in the prevailing conditions?

A. No, I didn't.

15 Q. Did you obtain any anecdotal evidence that the spotting was many kilometres ahead of the fire front?

20 A. I've heard anecdotal evidence which suggests that it's no different to any other major fire event.

Q. Which was what?

25 A. Again, we're generalising, but spotting distances on some of the Ash Wednesday fires were recorded at 12 kilometres and the greatest known spotting distance that I'm aware of is 21.

30 Q. And what sort of wind prevailing conditions would be present to create that sort of spotting?

A. Over 80 kilometres an hour.

Q. Sorry?

35 A. Over 80 kilometres an hour possibly. But again I'm not a fire scientist.

40 Q. You have some familiarity, I understand, with the South Australian Ash Wednesday fires in 1983.

A. Considerable.

45 Q. Was that a fire which generated an intensity of 100,000-plus kilowatt per square metre?

5 A. There were over 25 in all and I don't recall the specific intensity levels that were reached on any fire. Suffice to say that they were over 400 kilowatts per square metre on one area that I was physically at on the day.

Q. Well, 100,000 is considerably in excess of 400, isn't it?

10 A. Oh, yes.

MR STITT: Yes, nothing further. Thank you, Mr McBeth.

15 **<CROSS-EXAMINATION BY MR LOWE**

MR LOWE: Your Worship, can I just ask two questions, please.

20 THE CORONER: Yes.

MR LOWE: In your report you cover the aspects of the equipment and facilities available to firefighting. At that time you made your report, if you could comment generally perhaps to assist on the use of fire suppressants and the impact that they might have on the safety of the fire crews, the efficiency of dealing with the fire itself and the cost-effectiveness of the use of fire suppressants, that might be of use.

30 A. Fire suppression agencies, your Worship, are used in many different and varied circumstances from aerial bombardments through to personal protection on light- or fast-attack vehicles. Suffice to say that to the best of my knowledge - well, definitely both the State Forest Service in South Australia, that's the commercial government State Forest Service, and the National Parks Service, all use fire suppressants as front-line defence in all their vehicles all the time, and have done for probably 10 years to great advantage.

45 Q. That use would have been - at the time of the 1994 report, that would have been in use

then?

A. Yes, they were being introduced to fleets of vehicles back then, yes, and the technology was out there. Everybody was aware of it  
5 throughout AFAC, so all the fire authorities around the Commonwealth were completely aware of this technology. Most of them were trialling it or if they weren't trialling it they were starting to implement it into fleets  
10 of vehicles.

Q. I note from your expertise that you have continued in fire work since 1994 and --

A. For a short time.  
15

Q. And are you aware of a technique called foam and go or roughly like that to protect assets in rural or urban areas?

A. Yes, I am.  
20

Q. Can you explain that?

A. Foam and go is basically - the retardant agent is housed in the water-mixing tanks on a fire appliance and it's laid out around a  
25 building or along the edge of a fire track or across a fuel reduction zone to reduce the rate of spread of fire and intensity of the fire and to slow the fire down.

Q. And that has an effect on asset protection?  
30

A. It does have an effect on asset protection and it certainly is useful in the protection of ground crews.

Q. Could it also have an effect on the fire breaks? I noticed earlier you mentioned your evidence in standardised fire breaks throughout August in setting up standards for that. Could  
40 you use the fire suppressant there?

A. You could certainly use it as a tool, whilst you were attempting to put in a backburner, for example.

45 MR LOWE: That's all the questions on that.

Could I ask one other question?

THE CORONER: Yes.

5 MR LOWE: I hope it's not out of order but tell me if it is.

THE CORONER: Somebody will tell you I'm sure, Mr Lowe.

10

MR LOWE: You mentioned that you had a discussion with Peter Lucas-Smith about some of the frustrations that he was experiencing and you couldn't remember in detail. Is one of the situations in the ACT that the Chief Fire Control Officer, which Peter Lucas-Smith is, is able to give directions to some land-holders to undertake fire mitigation and hazard control works but is unable to give that direction to land agencies under the control of the government?

15

20 A. Oh, absolutely.

Q. Would that be one of his frustrations, do you think?

25 A. Definitely, and it was covered in the recommendations in my report. The lack of a single chain of command in major or multiple fire events is a recipe for adding to the disaster.

30

Q. In terms of the fuel hazard reduction programs, that provision does not allow the Chief Fire Control Officer to give direction to hazard reduction; is that correct, on government lands?

35

A. I think we might be at cross-purposes here to a degree. Obviously if the chief fire officer for all rural lands in the ACT had the power to coordinate and manage the annual fuel reduction program, that would be the ideal circumstance for the ACT.

40

Q. Thank you. The point I'm trying to make is my understanding is that one of the

45

frustrations in dealing with the structure is that whilst the rural lands can be directed to do certain things in hazard reduction, those lands which are under the management of the ACT  
5 Government are beyond the direction of the Chief Fire Control Officer?

A. That's correct.

10 THE CORONER: And that's to your understanding of the situation today.

A. Yes, in 1994, yes.

15 THE CORONER: Yes, Mr Woodward, any re-examination?

**<RE-EXAMINATION BY MR WOODWARD**

MR WOODWARD: Two matters.

20 Q. You were asked a moment ago some questions about Mr Lucas-Smith's frustrations in particular directed to the question of ability to force fuel management by government land management agencies. Did Mr Lucas-Smith  
25 express any other frustrations to you or what other topics did you discuss with Mr Lucas-Smith in that context?

30 A. We discussed these issues over many years and we also discussed them during the time I gave this opinion and I got the distinct impression, but you'd have to ask Mr Lucas-Smith, that he was frustrated about every aspect of the bushfire continuum. He was  
35 acutely aware what was going to happen at some stage and he was in a position where government agencies in the political process were effectively ignoring what he was saying.

40 Q. And these are matters he spoke to you about?

A. Yes, indeed.

Q. Were there any other topics covered in your discussions?

45 A. I honestly don't recall anything specific.

Our conversation ranged across a great deal of material to do with this opinion and on one occasion he sent me out to Hale with his assistant to look at the typical  
5 disorganisation between government agencies where fire breaks and fuel access tracks had been established by one agency and another agency had come along and planted eucalypts on it three weeks later. So these are the sorts  
10 of frustrations that he and his staff were being faced with.

Q. And he sent you out there specifically to draw your attention to that type of difficulty?  
15 A. He did.

Q. What about resourcing? Was there any discussion about that; that is, the adequacy of resources?  
20 A. Yes, there was discussion about resourcing generally, particularly to support the bushfire prevention process and additional technical people, from memory, to support the development of the statutory obligations that he felt he  
25 had and was unable to carry out.

Q. You asked - you were asked some questions by my learned friend Mr Stitt concerning the extent of fire intensities on structures.  
30 Structures can also be affected by ember attack; is that correct?  
A. They very definitely can.

Q. And that would include motor vehicles and  
35 boats and so on around houses, they can be affected by ember attack?  
A. Oh, yes. Any structure which has openings, orifices, gaps, particularly at the wind speeds which were present on these fires,  
40 or this fire event, it's inevitable that with the wind speeds concerned, rooms can open up, in go the embers or the ash, tiles come down, sheets of corrugated iron fall back then, it sits there and smoulders for 20 minutes or an  
45 hour or four hours, there's a wind change and

off it goes or it can bust spontaneously as it goes into the building. There's a whole range of conditions.

5 Q. The sort of damage that you were asked about can result not only from the effects of the intensity of the fire front but also simply an ember attack leading to the structure concerned actually burning of its own volition?

10 A. Yes. There are various types of ember attack in any experience. The worst of the lot is pine forest or grass, because the ember load in the atmosphere seems to be far, far greater, and a lot of the material stays alive longer or  
15 it is still combusting longer. I'm sorry, I've forgotten the actual point.

Q. More specifically you were asked about the effect on motor vehicle. If a motor vehicle is  
20 affected by ember attack and catches fire, what level of destruction would you anticipate would occur or in your experience have you observed?

A. Generally all the combustible materials  
25 inside the vehicle burn, plastic materials of various sorts, aluminium componentry, and if the tank doesn't go up, the body remains in a stable condition, but warped.

Q. And if the tank goes up?

30 A. If the tank goes up, it depends how much fuel is in it.

Q. Total destruction?

A. Oh, yes.

35

MR WOODWARD: I have nothing further, your Worship. Thank you, Mr McBeth.

40 THE CORONER: Yes, thank you, Mr McBeth. I won't excuse you, though, subject to Mr Johnson perhaps making some inquiries as to whether or not he has some questions to ask you. For the time being you're excused.

A. Thank you.

45

THE CORONER: Thank you, Mr McBeth. Yes?

**<THE WITNESS WITHDREW**

5 MR WOODWARD: It's now my intention to spend a  
little bit of time doing the best I can to  
summarise and refer to only distinct passages  
of the balance of the material on the issue of  
fuel management which comprises the latter part  
10 of volume 1 of the brief, as well as 2, 3, 4  
and 5. I regret that that means that people  
will probably get sick of hearing my voice, but  
because of the bulk of that material and the  
area covered by it, in my submission it will  
15 assist your Worship to have identified and for  
both the public and those participating in the  
process to have identified those parts of these  
documents which are considered to be of  
significance in terms of the future of this  
20 inquest. Obviously the matters referred to  
that I'll be referring to in terms of the  
evidence are relevant to these issues that will  
be ultimately a matter for phase 2. I'll be  
endeavouring, except where I summarise or  
25 attempt to summarise extracts, I'll be  
endeavouring just to identify the relevant  
sections and read those, which in my submission  
will assist your Worship.

30 Your Worship, although we've at least in the  
chronology moved beyond Mr McBeth to the Glenn  
report, I did want just briefly to go back to  
identify two documents in the brief that give  
at least some impression of the type of regime  
35 that was in place before the Glenn report and  
the fire management manuals that were prepared  
as a consequence of that report. Your Worship,  
there are two documents in the brief and in my  
submission these provide at least some  
40 indication of what might be described as the  
more ad hoc approach to fuel management and I  
say ad hoc not in any sense to criticise but  
rather just to identify the fact that it  
appears that fuel management was being  
45 performed on certainly an agency-by-agency

basis and in some respects also an area-by-area basis. There is in the report, your Worship, a document in folder 2. It's at  
5 [AUS.AFP.0035.0044], which is fire management plan for the Namadgi National Park as at March 1990. I'll move through this relatively quickly, your Worship, but just to draw attention to some of the matters that were covered by that report for the sake of  
10 comparison as to what occurred later on in 1990 and into 2000, into that decade.

Your Worship, the document commences with a summary of the fire management objectives,  
15 which inform the report, and that appears on page 0047. Does your Worship have the document?

20 THE CORONER: I do, yes, thank you.

MR WOODWARD: You will see that the fire management objectives set out there under 1.1 include - I'll read:

25 The objectives and practices for fire management are outlined in the Namadgi National Park Management Plan. They are: to protect human life, to protect property within and adjacent to the  
30 park from fire, to protect the natural and cultural features of the park from the damaging effects of fire, to protect and ensure the stability of water catchments, to maintain as far  
35 as practicable the natural diversity of age, class and structures in park vegetation, and to minimise the effects on other values of any necessary fire protection control  
40 works.

Your Worship, it's worth referring to that simply because your Worship will see from the fire management plans adopted in 1998 and  
45 thereafter, generally speaking a very similar

5 theme in terms of the priorities for the fire management objectives, in particular the primary objective being to protect human life and to protect property within and adjacent to the relevant areas.

10 On page 2 of the report, there's a statement of the administrative responsibility. And there's this passage or sentence that appears at the end of paragraph 2:

15 Both the ACT Parks and Conservation Service and the ACT Bushfire Council work closely together. The council being responsible for fire suppression and control, while the service as the land manager is responsible for fire prevention and mitigation.

20 Your Worship will recall from the extracts of the report of Mr Cheney that I referred to earlier during the evidence of Mr McBeth that that's an issue which certainly he has some concerns about, the division of control between  
25 the land managers on the one hand being responsible for land - for land management or fire reduction, and the Bushfire Council and presently the ESB being responsible for suppression.

30 Jumping ahead, your Worship, to 0055, there's a reference to what are described at the bottom of the page as "intensive fuel management zones". This just gives a general impression  
35 of the way in which this plan approached the issue of fuel management. I beg your pardon, your Worship, this is on the bottom of 56:

40 There are locations in the Namadgi National Park that require security from the effects of wildfire. Around these areas extends a zone in which specific fuel management is necessary because of their capital and heritage  
45 values, sensitivity to fire, high

public use and location with respect  
to hazardous areas. In these  
locations fuel reduction by burning  
and other mechanical fuel removal will  
5 be used to achieve certain outcomes.

I mention that, your Worship, because in  
particular it refers to burning but it appears  
to refer to burning as an alternative to  
10 mechanical fuel removal as an appropriate form  
of fuel reduction.

Your Worship, at the following page, page 0058,  
there's a reference to management trails and  
15 your Worship is likely to hear quite a bit of  
evidence, in my submission, about the  
importance of maintaining management trails and  
in due course, no doubt evidence about the  
extent to which that had occurred as at 2003.  
20 But this provides some indication of at least  
an acknowledgment of that importance:

The network of management trails exist  
within the park. These trails are an  
25 effective/efficient means of access  
and can also be used as possible fire  
breaks. The maintenance of these  
trails will take high priority. In  
some cases limited fuel reduction  
30 along a narrow strip adjacent to the  
trail may be justified to maximise its  
usefulness as a control line. It is  
intended that the construction of new  
trails will be avoided. Although fire  
35 hazard assessment may indicate the  
need for minor strategic additions.  
Where fire trail is physically closed  
the route will be recorded for  
possible use in the event of a fire.

40 Over the page at page 59, your Worship, again  
under the heading "General Suppression" at the  
bottom of the page, this appears, in the  
context of the approach to fires that do occur  
45 in the park:

During periods of suitable weather conditions naturally ignited fires may be left to burn. In practice this will occur infrequently because of the short duration of appropriate conditions. A decision to let a fire burn will only be made after due consideration to the following factors.

And there are listed several factors which are said to be relevant to that decision. It may be relevant, in due course, your Worship, to compare those factors to the decision making in relation to these fires when they first occurred in that park in 2003.

Your Worship, the balance of the report deals generally with perhaps what could be described as for administrative matters including approaches to fire suppression, the appropriate radio channels and the like. I don't propose to go into those in detail. I don't propose to go to them at all.

Your Worship, the second document that falls into this category of pre-McBeth, if I can call it that, and I accept, your Worship, that this is something that's been extracted because it was found as part of the investigations and it may be that other similar documents exist, particularly for the period later in the 19 nineties, but at least at this early stage, in my submission, it does provide some indication of some of the practices that were being implemented in relation to the New South Wales government lease and an approach to training in respect of that. This is the debriefing notes from the Brindabella hazard reduction exercise in April 1992. It's at [AUS.AFP.0079.0121]. It will be my submission, your Worship, important for your Worship to examine whether exercises of this kind continue to be conducted through that decade because clearly, as the

aims and the outcomes or lessons from this report would suggest, it creates a high degree of benefit both in terms of training and in terms of fuel reduction:

5

Aims of the exercise are said to be to reduce fire hazard in the lease area between Brindabella and the Territory, providing protection from the full range of fire types likely in the area; comply with the terms of the ACT Bushfire Council's lease; ensure full public safety while the burn is in progress; run an operational exercise where under controlled conditions people can experience real problems and learn from them; practice remote area operations, especially backhoe work, patrolling, drip torch work, overnight work, logistical problems and communications difficulties; practice multi-agency operations with Rural Fire and Emergency Services from the ACT and New South Wales; practice communications procedures, using multiple radio networks, without an ideal set-up in difficult terrain; practice elements of the incident control system.

30

Clearly all laudable aims, your Worship.

On page 0126, the main lessons are set out. Again, these are illustrative of some of the advantages of this sort of exercise and it will be appropriate to examine how much of this was being done in the years that followed:

35

The main lessons learnt from the exercise where, we can handle multi-agency incidents effectively. We need more remote area experience for firefighters, the basic training modules are being forgotten through lack of remote area firework for most

45

crews. Our system needs to be reviewed to address this problem. As a result of point 3, the crew leaders need to be trained to a higher standard. If you don't have the right equipment to undertake the task given, advise the fire controller and ask for it to be supplied. If you don't have the experience or fitness to undertake a task given, then, again, advise the fire controller.

Your Worship will see that the author of this document was Mr McRae, who at the time was the planning officer at the Rural Fire Service.

As I indicated, your Worship, there are not many other documents and those will be found and where appropriate produced in the second phase of the hearings but at least that provides some indication of what was happening in the years before the development of the fuel management plans.

I want to now move to the Glenn report, your Worship, which appears in folder 1. It's the last document in that folder. The document number is [AUS.AFP.0041.0001].

Your Worship, the, in effect, terms of reference are comprised in a covering letter that appears at page 0004, where Mr Glenn sets out that the task force was required to review current practices for bushfire fuel management in the ACT and recommend appropriate policies and practices for the future, having regard to the protection of life and property, environment and conservation issues. So again you see, your Worship, the, if you like, allocation of priorities, protection of life and property, environment and conservation issues.

The actual text of the report, your Worship, is not particularly detailed, and it is a report

that's relatively readable. But I do want to go to some passages which may become relevant as the evidence progresses. The first of those is on page 0010, in paragraph 1.2, where the report states:

The ACT has however developed very effective bushfire suppression arrangements which have been able to control most major fires before any significant damage to property has occurred. These arrangements may need to be adjusted to accord with the anticipated urban expansion.

Perhaps - just noting the fact that that reference is to some extent in contrast to the comments made by Mr Cheney in the Hannon report where he talked about there being certain wildfire conditions where it doesn't matter how good the suppression capacity is, nothing can be done to stop the progress of the fire. It's not clear from Mr Glenn's report whether that was seen or that paragraph was included in a sense to indicate that it was appropriate to or it was relevant in ameliorating the need for more intensive fire fuel management, that is having a strong suppression capacity was somehow relevant to the level of fire management - fuel management that was necessary, but that may be an issue that arises in due course.

Your Worship, the next passage I want to take you to is point 0013 in paragraph 2.4, at the bottom of that page. The report there states:

While excluding suppression from this review, the task force notes the importance of integrating suppression and fuel management practices. The strong involvement of land managers in suppression activities with the Bushfire Service has helped the development of their fire management

skills. Additionally involvement and responsibility for suppression activities has given land managers a direct incentive for conducting sound fire fuel management practices and a means of continually assessing the effectiveness of fuel management techniques.

Again, your Worship, that's a sentiment that's similar to those expressed by Mr Cheney about the importance of the coincidence of suppression and fuel management. However, it's not clear from the report whether the report simply acknowledges that as a valid theory or whether he's suggesting that that in fact is what's occurring in the ACT at the time. In either case, the recommendations don't appear to further that cause, that is more closely integrating responsibility for fuel management with responsibility for suppression.

Paragraph 2.8, your Worship, over the page, 0014, just to note that in that paragraph, the task force says:

The urban interface with rural and bushland areas is identified by the task force as an area of particular concern in terms of fuel management. The task force has inspected a range of sites along the interface, including Narrabundah Hill, Eucumbene Drive and Warragamba Avenue in Duffy and Stromlo Forest and Tuggeranong Parkway.

Clearly identified by the task force at that time as areas of particular concern.

On page 6 and following, the report sets out details of the existing arrangements for fuel management and I don't propose to go to those, your Worship. I jump ahead to page 14 of the report, which is 0023. Just briefly,

your Worship, I would like to mention, because it's the first indication of perhaps the extent of the expense associated with fuel management, because there are set out estimates of  
5 expenditure in 1994/95, supplied by land management to the task force, which indicate that a total of \$251,500 was expended in connection with activities for fuel management and the comment by the task force in the  
10 paragraph following:

This expenditure is not a major commitment to bushfire fuel management and is insignificant when compared  
15 with the expenditure on suppression activities.

Just over the page, your Worship, there's a reference in paragraph 4.3 to:

The Bushfire Services for several years has monitored the ACT bushfire hazard on a broad scale. The 1994 results are shown in the map at attachment D.

Your Worship, I'll just briefly go to that map, which is at page 0043, page 33 of the document. Your Worship will see that the area along Eucumbene Drive is identified or in that part  
30 of Weston Creek, the Weston Creek district, is identified as an area of very high fire hazard. It's perhaps also worth noting that even then, your Worship, there are parts of the urban interface that are identified in south  
35 Belconnen and north Canberra that are also very high fire danger and were unaffected by the fires in 2003. Presumably that position pertains today, or that may be a matter of further evidence.

Over the page again, your Worship, back to page 16, which is 0025. The recommendations in relation to the issue of bushfire hazard assessment are set out, and in particular the  
45 third bullet point, your Worship:

ACT Government land managers in  
consultation with residents give  
priority to fuel reduction and to  
5 bushfire safety awareness education  
for residents in the identified high  
hazard areas, for example, those  
referred to in paragraph 4.5.

10 Which cross references the map to which I've  
taken your Worship. Your Worship, we're not in  
a position at this phase of the inquest to  
provide any general indication of what response  
there was to that recommendation in so far as  
15 it relates to bushfire safety awareness  
education for residents in those areas, but  
clearly that will be a matter of great  
significance for the second phase of the  
hearing. Similarly, your Worship, it's  
20 difficult to discern from the documents that  
we've reviewed at this stage to what extent  
residents were consulted in relation to the  
development of the fuel management plans.

25 On the subject of fuel management planning,  
which commences on page 17 of the report, the  
recommendations appear at page 19. I won't go  
to those in detail, but in essence,  
your Worship, they are the primary  
30 recommendations that propose the production of  
fuel management plans to be prepared within 12  
months and be reviewed every two years  
thereafter. I'll be taking your Worship to  
those plans in due course. It also sets out a  
35 process for approval and for reporting on  
compliance.

It's perhaps worth noting that there's also a  
reference to the need at least for that process  
40 to be coordinated. I will refer to the fact,  
your Worship, with the plans, at least the 1998  
and probably the 2000 plans, although it's  
clear that the process was coordinated as  
between agencies, it was later identified that  
45 one of the deficiencies in those reports was

the fact that each agency was still publishing its own discrete maps for areas affecting it.

5 It wasn't until the plan was developed for  
2002/2004 that, in effect, composite maps were  
being prepared that showed fuel management  
regimes over parts of Canberra, regardless of  
which agency had responsibility for those  
10 areas, and therefore gave a much clearer  
picture of the total management that was  
proposed at that stage.

In the area of environment and conservation,  
15 which commences on page 21, there's a  
discussion of what is in effect the balancing  
exercise that necessarily exists between the  
importance of fuel reduction and the extent to  
which that impacts upon environments and  
conservation imperatives and how that balancing  
20 exercise needs to be managed.

The recommendation on page 23, however, in  
summary appears to be designed to facilitate an  
25 increase in the level of hazard reduction  
burning that had been occurring up to that  
point, in particular by suggesting amendments  
which, as I understand it, were subsequently  
implemented to the Air Pollution Act, which had  
up until that time been seen as - well, was  
30 said to have created a regime under which fuel  
management by burning was severely limited.

The recommendations on hazard reduction appear  
35 at page 26 of the report, and they largely  
concentrate on the importance of implementing  
appropriate planning and building guidelines  
and urban edge guidelines. Although some of the  
material, your Worship, in the first phase  
40 brief deals with that, it will be not until the  
second phase that we'll be in a position to  
indicate to your Worship to what extent those  
recommendations were acted on in respect of new  
planning that was to go on thereafter and also  
45 the construction of new buildings in the areas  
identified as high risk.

Your Worship, the next thing that happened in the chronology was the development of publication of the Bushfire Fuel Management Plan for 1998. If your Worship will excuse me for a moment, I'll just get a copy of that. It comprises the bulk of folder 2.

I should mention, your Worship, that I do propose to read some passages out of this report, particularly the introductory parts. However, it's a 386-page document and to a large extent it does speak for itself. I will be indicating to your Worship - I do so now - that the fuel management plan for the following period, 2000 to 2002, is almost identical in format, so I won't be going to that one at all, which is why I'll spend a bit more time with this one.

Also, your Worship, at least so far as the work programs are concerned, and the bulk of the document is comprised of the various maps which set out by reference to a legend the various different fuel management treatments that are proposed for the fuel management units - and that comprises in effect the second half of the volume - regrettably it's very hard to get sense of what's proposed by those maps without having them in colour, and they're not available in colour in any of the copies that either your Worship has or that my learned friends have. So it's not my intention to go to in any detail the actual actions that were proposed although I do propose to make some general remarks about that.

The first plan, which was the 1998 plan, your Worship, and this is at page 0005 of the document, which I've not given the number of - I think that might be [AUS.AFP.0033.0001] - it begins with what's described as a ministerial foreword, and I think it is instructing your Worship if I read that in totality:

45

The incidence of fire in the Australian bush is a phenomenon that many of us have come to associate with our long hot summers. The destructive potential of bushfire requires ACT land managers to think carefully about the management decisions implemented in bushland forests and the other unleased open spaces of the Territory. Fire has also been accepted as a legitimate management tool, useful in facilitating a return of native vegetation and promoting biodiversity. Clearly the challenge is to develop a management framework which safely addresses the spectrum of priorities as it relates to bushfires in our environment. Upon coming to government in early 1995, the Minister for Police and Emergency Services asked for an immediate review of the ACT's bushfire preparedness. Bushfire fuel management task force reported to the Minister and its recommendations have been implemented.

That being the Glenn report, your Worship:

The requirement for government land managers to prepare bushfire fuel management plans became law in December 1996.

That was with the introduction and the amendments to the Bushfire Act 1936:

ACT Government land management agencies are required to prepare and present for public scrutiny this Bushfire Fuel Management Plan covering all areas they manage. The plan, to be biannually reviewed, identifies areas where fuel reduction is appropriate and describes the means by which the control of fuel material

available to bushfires will be managed. Other measures, such as responsible management of residential properties adjoining the bushfire prone areas, are also important. With this in mind, the Emergency Services Bureau will continue its community education role on bushfire protection matters.

Pausing there, your Worship, it certainly doesn't appear in this and I don't think it was ever intended that these bushfire management plans would extend to community education issues:

In a city which prides itself on its natural setting and close proximity to bushland, it is imperative that this plan identify practices by which we can continue to provide a high level of protection to life and property, while ensuring important ecological and biological processes are not compromised. In canvassing such issues as fire prevention strategies, this plan will be useful in drawing the community's attention to the concept and need for fuel management. Additionally the plan serves as a reference by which leaseholders adjacent to government managed lands can further consider their own fuel management strategies.

That foreword, your Worship, was signed by both Gary Humphreys, the Minister for Justice and Community Safety, and Mr Brendan Smyth, the Minister for Urban Services. Similar sentiments are found in the first paragraph, the introduction, which appears at page 0012:

During the 1993/94 bushfire season, there were a number of severe bushfires in New South Wales and a

number of fires in the ACT which posed a threat to property. The damage from these fires, the impact on air quality that occurs from bushfires, the  
5 potential for injury and loss of life, together with the issues of responsibility and litigation and the role of government raised concerns in the ACT community about bushfire fuel  
10 management practices. A report was then undertaken by the former deputy chief of the South Australian Country Fire Authority, Howard McBeth, on fire hazard reduction practices in the ACT  
15 (in particular those carried out by the ACT Parks and Conservation Service).

More machinery provisions are then dealt with,  
20 but just referring briefly, your Worship, so that it's clear, the second last paragraph on that page identifies that the three GLMA, being government land managed agencies:

25 ...covered by this plan are Environment ACT, Canberra Urban Parks and ACT Forests.

30 So that identifies the three land management agencies that are required in effect to submit parts of a plan:

35 Within Environment ACT, the government horse paddocks are managed by Conservation and land management. Conservation reserves and associated land are managed by ACT Parks and Conservation Services.

40 That includes of course national parks and in particular the Namadgi:

45 These agencies have responsibility for managing the majority of ACT land.

There's a reference to figure 1.1. If your Worship turns the page, you'll see a pie graph that separates out the level of responsibility for ACT land covered by the land management agencies and in particular that 30% of ACT land that is not covered by the plan. Your Worship, that's picked up again a few pages further on. In fact, at page 0017, just for your Worship's benefit, there's an indication of what comprises that 30%, a little further down the page. Your Worship will see that rural leases, residential, community land, commercial, entertainment, accommodation, industrial, road reserves and roadsides, with a few exceptions, national land and designated areas defined in the National Capital Plan and not managed by the Territory on behalf of the Commonwealth. I think the evidence will show that is actually quite a significant part of that 30%, namely Commonwealth owned land.

Two pages further on, your Worship, 0019, under the heading "1.6.1", there's again a reference to the bifurcation of responsibility:

The primary responsibility for fire suppression in the ACT lies with the BFES, which comprises both volunteer and government bushfire agencies. Through these agency brigades, the GLMA contribute significantly both in a financial capacity and an operational sense to the suppression and control of fires in the ACT. The primary responsibility of the GLMA in regard to bushfire management relates to the management of bushfire hazard.

So there's an acknowledgment, your Worship, that at least officers of the agency do participate in fire suppression, but the agencies themselves are primarily concerned with managing the hazard.

Your Worship, moving on to some extent to page

21 of the report, it's 0033, the issue of hazard assessment:

5 Hazard assessment is crucial if hazard  
reduction is to be effective. As the  
following section shows, based on key  
documents such as rural fire hazard  
assessment in the ACT, (author being  
Mr McRae in 1991) fuel and hazard are  
10 not synonymous. Failure to appreciate  
the difference is a factor  
contributing 20 common  
misunderstandings about fuel  
management. Hazard can be defined as  
15 follows.

There's then a definition:

20 A measure of the potential for fuel to  
support fire behaviour, it's  
probability of ignition and the risk  
posed thereby to identified values.

25 Further down the page there's a specific  
element of hazard dealt with, your Worship, in  
the second last paragraph:

30 Fuel load is often considered as a  
major factor determining hazard,  
however it is but one variable which  
contributes to a given fire hazard.  
It follows that fuel management on its  
own may only provide a degree of  
protection for life and property. It  
35 is important to realise that there  
will always be potential for weather  
conditions such that fires may be so  
extreme as to make any fuel management  
ineffective. Likewise fuel management  
40 cannot fully compensate for inadequate  
planning and design of suburbs and  
buildings or social factors which may  
contribute to rapidly increasing  
incidence of arson around Canberra.  
45

There's a further reference to urban planning and design issues on page 25 of the plan, which is 0036. This important point is made in the last part of that paragraph:

5

Strategies to minimise hazard need to be undertaken in parallel with fuel management such as appropriate urban planning and design of residential areas, together with public education. Landscape design and construction guidelines were prepared by public works in 1993. These set the basic standards for urban edge design for developers in relation to protection of property in new urban areas.

10

15

The issue that will need to be considered in due course is, whilst those plans were prepared, to what extent were they applied in those areas.

20

A little further down the page, your Worship, there's a reference to various different indices that apply. I want to briefly mention those because of the maps that follow:

25

Control Urgency Index is a measure of proximity to assets of various weightings in terms of fire sensitivity. Fire Behaviour Index is a measure of fire intensity and rate of spread in 90th percentile summer weather, assuming typical fuel loadings.

30

35

I want to mention these two in particular because if your Worship then goes to the maps - and I regret you won't be able to pick up on the maps in black and white, but I can indicate that the areas on the map which appears at point 0038, figure 3.2 A, that are identified as having an extreme fire hazard index, include the area of Weston Creek and the Namadgi National Park to the west of that area. That

40

45

is one of the only extreme areas identified in that map.

5 Similarly, over the page, the areas designated as having an extreme Control Urgency Index are again the areas of Weston Creek, but also include Tuggeranong, Belconnen and south Canberra, so there's a similarity between that map and the map that's attached to the report  
10 by Mr Glenn, to which I took your Worship earlier.

Your Worship, some pages further on, page 42, under the heading "Hazardous Assessment for  
15 Fire Management" at page 0044, there's a list of those different types of factors that land managers need to take into consideration when assessing hazard. Then the manual continues:

20 Knowledge of specific site conditions is essential in making the best decisions about hazard assessment and fuel management. For example, in some  
25 forest and woodland areas, fuels that have not burnt for some time are often in a state of equilibrium, where litter fall is approximately equal to the decomposition rate, giving a steady state fuel load. This steady  
30 state fuel load may be at a maximum in terms of fuel weight but will have lower flammability than in the first five to ten years after a wildfire event when the fuel retains less  
35 moisture and dries out faster after rainfall and during daily changes in temperature and humidity.

40 So if I can interpolate, your Worship, the point there being made is forest fuels do reach a stage where the amount of decay is in equilibrium. So there's a point at which the fuel loads will not get any higher. Whilst  
45 this acknowledges that that may be a very high fuel load, it possibly is less high than that

which exists after a fire event or after  
grasses and lower fuels have been able to  
regenerate. I mention that passage in  
particular because that concept may be debated,  
5 that is this idea that in some circumstances it  
is appropriate to allow a fuel load to remain  
at equilibrium, and also that assertion that  
more extreme conditions can be experienced  
after fire for about five to ten years. There  
10 appears to be a divergence of view about that:

Planned burning to reduce fuel loads  
in woodland and forest areas that are  
in this equilibrium state is only of  
15 real benefit to the mitigation of fire  
ignition and rate of spread in the  
first six to 12 months post fire,  
although the potential maximum  
intensity of a wildfire may be lowered  
20 for up to three years. For this  
reason, burning may not be selected as  
the most effective or appropriate  
mitigation strategy in some areas.

25 Again, your Worship, I'll be taking  
your Worship probably tomorrow to a report by  
Mr Cheney in which he comments on a draft of  
the report that was prepared for 2002/2004,  
where he takes issue with that concept; namely,  
30 that the burning is only of benefit for the  
first 6 to 12 months post fire.

Just by way of example, your Worship, in  
relation to the proposed treatment for some  
35 particular areas, on page 47 of the plan,  
there's a reference to Namadgi. This is at  
0049 at the bottom of the page:

40 A large proportion of the southern  
part of the park was burnt by wildfire  
in 1983. That has led to fire regime  
constraints in some high conservation  
areas where any further fire at this  
time may have a detrimental impact on  
45 conservation values. Because there is

so little known about the fire regimes required for many of the wildfire communities present in Namadgi, at this stage it is proposed that fuel management in this area will only be undertaken in strategic areas for the direct protection of built assets and to protect sensitive natural and cultural sites. The majority of the south Cotter area of Namadgi National Park poses little hazard to neighbouring lands due to the combination of low visitation, moist vegetation types and local weather conditions. Some units adjoin ACT forest areas and strategic, joint fuel management is proposed in some places for protection of pine forests.

Again, your Worship, in Mr Cheney's report, commenting on the later draft that contains a similar passage, he disagrees with that passage, and I'll take your Worship to his comments. It's also worth noting, or at least confirming that as the fuel management plans disclosed, there's a distinction drawn between burning asset protection, which is where burns are conducted solely for the purpose of protecting assets which are continuous or adjacent to the relevant area burnt, and strategic burning, which is another category of fuel management which involves effectively burning a mosaic of an area to reduce the overall fuel load and therefore the intensity of fire. What, in my submission, that passage reflects is an approach to the Namadgi that says we don't want to do strategic burning, we'll limit our burning in the area to asset protection because of the conservation values at stake.

Your Worship, over the page, or some pages, at page 49, under the heading "Fire Management Policies and Strategies", there follows a summary of the various different approaches

that are to be taken. I mention that only because it sets up two concepts that then find their way into much of what follows, firstly the concept of fire management units, and  
5 they're effectively areas on a map which are designated as appropriate for discrete regimes in relation to fuel management. So there frequent references throughout to the different FMUs, being geographic areas identified on the  
10 maps, and different treatments are assigned to different FMUs depending on what's in there, whether it's forest or pine plantation and so on.

15 On page 53, 0056, there's a summary of the different types of fuel reduction activities that are referred to in the various project plans. Your Worship will see over the page, at page 54, 0057, FRA 1, which is fuel reduction  
20 activity number one, under the heading "Asset Protection Works":

...would comprise burning in certain circumstances; namely burning will be  
25 undertaken regularly to meet the above objective, that is, to protect assets. In some fire management units, blocks identified for asset protection, burning in woodlands and forests have  
30 been burnt within the last eight years and have fuel levels which meet the above objective. Because of this, not all of the blocks indicated for asset protection burning will be burnt in  
35 the first two years.

Just identifying, your Worship, the fact that because burning can have an effect according to this document up to eight years, then it's not  
40 something that you would be doing every two years, so that although some burning is identified, it's not necessarily burning that will be undertaken during the life of this plan.

45

The strategic burning to which I referred earlier is found two pages further on, at 0059:

5 Strategic fire management works are undertaken in areas to provide additional protection and to assist fire control and suppression activities.

10 FRA 2 strategies are defined as in relation to woodland and forest areas:

15 FRA 2 burning will be undertaken on a rotational basis to achieve a mosaic of fuel reduced vegetation across strategic blocks and some fire management units. This will result in a variety of fuel levels of identified blocks within the fire management unit  
20 between burns. Fuel levels may be high in some blocks and low in others. However, the result in mosaic of fuel reduce the overall potential fire intensity and rate of spread. To  
25 achieve the above objectives, the intended interval between burns on any block will be no more than 18 years and no less than 10 years, including previous and future planned burns and  
30 wildfires.

Your Worship, the issue that will need to be considered in due course is whether the areas assigned or allocated for strategic burns of  
35 that kind were sufficiently widespread and, of course, the broader question of even assuming they were, was enough in fact done?

40 Your Worship, the balance of the plan comprises the agency specific fuel management plans, a summary of each of the fuel reduction programs, the work programs and the maps which are assigned to each of the FMUs. It's not proposed in this phase, your Worship, to  
45 undertake a critical analysis of the adequacy

of fuel management planning as contemplated by this and later plans.

5 However, perhaps it is worth noting in a very general sense at this stage that those plans do exhibit a strong preference for slashing, mowing and grazing over burning as the preferred form of fuel reduction, and that's consistent with some of the passages of the  
10 introductory paragraphs I took your Worship to which suggested a degree of reticence about the concept of using burning too widely as a fuel management tool.

15 Where fuel reduction burning is provided for, it tends to be for asset protection, and as I indicated earlier, less so for strategic burning, and especially in the native forest areas, including the Namadgi, allocations for  
20 strategic burnings are few and far between, and they tend to be concentrated in or near those parts of the forest areas which might then burn out into pine plantations.

25 Your Worship, it is a convenient time, your Worship, to leave that plan. Perhaps briefly if I can indicate what I propose to do first thing tomorrow. There's some material in the brief that deals with the level of  
30 implementation of that plan, and I propose to go to just a few brief extracts from that. That includes a report performed by Deloitte who in effect did an audit of the extent of compliance with that plan, a year and a half  
35 into the plan. Again I'll refer to some of that material. I'll mention the following plan, and then I'll conclude, your Worship, with a reference to the process by which the 2002/2004 plan was developed. I want to spend  
40 some time taking your Worship to passages in the report by Mr Cheney in 2002 which commented on the draft report for the period that followed, and his involvement appears to be precipitated by the December 2001 fires because  
45 the report was done in January. And then I

just want to touch briefly on the circumstances in which that report was launched.

Regrettably, of course, the report wasn't launched until November 2002, and of course  
5 although I think anyone would concede it was a significant improvement on earlier plans, there was clearly no time between that date and the fires for its implementation to in any way be assessed or tested. I'm hoping that that  
10 process will take no longer than an hour in the morning, your Honour.

THE CORONER: Thank you, Mr Woodward. That's a convenient time to adjourn.

15 MR LASRY: Your Worship, can I just add that after that process, the next witness will be Mr Cheney. I'd be surprised if his evidence finished before the end of the week, bearing in  
20 mind tomorrow is Friday. I expect his evidence-in-chief and his presentation will take some time. Presumably there will be questions for him. I'd be surprised if we got beyond his evidence before the weekend.

25 THE CORONER: We'll see how we go. Thank you, we'll adjourn until 10 o'clock.

**[ 4.03pm ]**

30 MATTER ADJOURNED AT 4.03PM UNTIL THURSDAY, 9 OCTOBER.

5

TRANSCRIPT OF PROCEEDINGS

10

**CORONER'S COURT OF THE  
AUSTRALIAN CAPITAL TERRITORY**

15

**MRS M. DOOGAN, CORONER**

20

CF No 154 of 2003

INQUEST AND INQUIRY

25

INTO

THE DEATHS OF DOROTHY MCGRATH,  
ALLISON MARY TENNER,  
PETER BROOKE, AND DOUGLAS JOHN FRASER,  
AND THE FIRES OF JANUARY 2003

30

CANBERRA

35

DAY 3

10.04AM, WEDNESDAY, 9 OCTOBER 2003

40

45

[10.04am]

THE CORONER: I should make an announcement. I  
note it's very unpleasant in this room at times  
5 because of the airconditioning. Complaints  
have been made, indeed complaints were made  
last week and the week before about the  
airconditioning in this room. I'm now told and  
have been assured that technicians are coming  
10 at about 10.30 to investigate. I would simply  
invite them to come into this room. They don't  
really need to investigate too much. So I hope  
that the situation will be repaired.

15 MR WOODWARD: Your Worship, at the end of  
yesterday, I had completed taking your Worship  
to extracts of the 1998 Bushfire Fuel  
Management Plan and was at the point where I  
wanted to cover in brief some issues relating  
20 to the implementation of that plan. There are  
two, if you like, sets of documents to which I  
want to refer in that regard. The first is  
what is in essence folder 5 of the brief, and I  
won't suggest that either your Worship or the  
25 parties endeavour to follow the documents to  
which I'm going to take your Worship because,  
unfortunately, the material in that brief we  
weren't able to get into a chronological order  
before the brief was compiled and in those  
30 circumstances it will be very difficult to find  
each of the documents I'm referring to, but I  
do only want to refer to a couple of paragraphs  
in four or five of the documents and I'll give  
the relevant numbers of that. I should say,  
35 your Worship, that it's clear that what is  
folder 5 of the brief does not constitute a  
complete set of the what's called the output  
reporting in respect of the Bushfire Fuel  
Management Plans over the relevant period.  
40 Apart from anything else, they only go up to I  
think it's the fourth quarter of 2002 and it  
would appear from just a perusal of those  
documents that there's not a full set in that  
section in any event. So it will be necessary  
45 for us in the lead-up to the second phase to

liaise with the Department of Urban Services or  
with the Victorian Government Solicitor in  
order to ensure that we do end up with a full  
set of that material. It is instructive, in my  
5 submission, your Worship, just to refer to a  
couple of passages from some of the summaries  
of that material.

10 THE CORONER: In folder 5?

MR WOODWARD: In folder 5, because it does give  
some indication of the areas where those  
responsible for fuel management were finding  
the process of implementation problematic.

15 The first document I'll take your Worship to is  
[ESB.AFP.0055.0396]. This is a minute on  
environment ACT letterhead which commences:

20 This report describes the  
implementation of the Bushfire Fuel  
Management Plan during the first  
quarter of 1998/99 including  
activities from previous financial  
25 years.

If you move to the second half of the page,  
just under the chart there showing levels of  
implementation, your Worship will see this  
30 passage:

Six of the nine activities outstanding  
from 1997/98 were prescribed burns.  
These burns were not completed during  
35 1997/98 because the weather was too  
dry for prescribed burning. The  
weather conditions during the first  
quarter of 1998/99 were not suitable  
(too wet) to undertake these burns.  
40 These burns will be undertaken as soon  
as weather conditions allow.

In the next report for the following quarter,  
which is at document [ESB.AFP.005.0332], the  
45 following appears, again, in the second part of

the document where it summarises what was achieved or, more importantly, what was not achieved for that quarter, and again just below the chart there, your Worship will see:

5

Few of the burns prescribed for 1998/99 and outstanding from 1997/98 have been completed during this quarter due to a very narrow window of opportunity of suitable weather conditions. There are a large number of burns outstanding from 1997/98 because conditions were too hot and dry for burning that year.

10

15

Unfavourable weather conditions for prescribed burning in autumn 1999 will result in a serious backlog of prescribed burns.

20

Just quickly to the equivalent minute for the following quarter, which is the third quarter in the 1998/99 financial year, that is to 30 March 1999, at [AUS.AFP.062.0427]. Just to take one item, in respect of the Namadgi, in the chart, it's in relation to burning where slashing was 100% completed in the four areas in the Namadgi. Just down in the first half of the chart, you will see in respect of burning, zero of the three burns, 0% prescribed for 1998/89 and outstanding from 1997/98 have been completed.

25

30

Then over the page:

35

Because conditions were too hot and dries for burning during 1997/98, none of the burns prescribed for that year were completed. In addition, few of these burns or the burns prescribed for 1998/99 were completed in spring 1998 because of unfavourable weather conditions. This resulted in a significant backlog of uncompleted prescribed burns.

40

45

5 It was hoped that this backlog could  
be removed or at least reduced during  
autumn 1999 and considerable effort  
was put into undertaking all the  
planning and preparatory works to  
allow these burns to be undertaken.  
10 Unfortunately, there has not been a  
single day this autumn with weather  
conditions suitable for prescribed  
burning (it changed from being too dry  
to too wet). It is now unlikely that  
suitable weather for prescribed  
burning will occur until spring 1999  
by which time there will be burns  
15 outstanding from 1997/98 and 1998/99  
as well as the burns prescribed for  
1999/00. This amounts to a total of  
29 burns.

20 Now, moving into the first quarter for  
1999/2000, at document [AUS.AFP.062.0114], the  
relevant minute says this:

25 Just 18% of 173 actions prescribed in  
the Bushfire Fuel Management Plan for  
1999/2000 or outstanding from previous  
years had been completed by the end of  
the first quarter of the 1999/2000  
30 financial year. This is because 94 of  
the 173 actions are slashing which is  
not carried out during the first  
quarter.

35 Jumping to the next paragraph:

There are a further 18 actions that  
are no longer required. These include  
areas in which slashing or burning is  
not required due to fuel loads being  
40 kept low by native animal grazing and  
areas in which fuel accumulation has  
been less than expected. None of the  
22 burns prescribed for 1999/2000 or  
outstanding from previous years were  
45 completed during the first quarter

5 because there were no days on which  
the temperature, relative humidity,  
wind speed, wind direction, drought  
factor and atmospheric stability were  
within the range required to conduct a  
safe and effective prescribed burn.

10 Similar message appears in the minute for the  
second quarter of that year. That document is  
at [AUS.AFP.0039.0280]:

Of the 73 outstanding actions ....

15 I should note, your Worship, that quarter 3 is  
the autumn quarter, I think. No, that would be  
the spring - no, it is the autumn quarter:

20 Of the 73 outstanding actions, 39 were  
not completed because they were not  
needed. This particularly applies to  
slashing which was not required in  
most of the Tidbinbilla and Namadgi  
districts because the fuel load was  
25 kept low by native animal grazing or  
low grass curing meant that the grass  
did not pose a fire hazard. 16 actions  
were not completed because of  
unsuitable weather conditions. These  
actions were all prescribed burns and  
30 were not completed because there were  
no days ....

35 Et cetera. It's a very similar form to the  
last minute I took your Worship to. Moving to  
the fourth quarter of that year, 1999/2000,  
document [AUS.AFP.0064.0491], again the minute  
provides or states that:

40 13 of the 26 necessary fire management  
actions that were not completed were  
hazard reduction burns. 7 were  
research or monitoring, two were  
grazing and one was hand removal. The  
hazard reduction burns were not  
45 completed but there were no days in

5           which the temperature, relative  
          humidity, wind speed, drought factor  
          and atmospheric stability were within  
          the range required to conduct a safe  
          and effective prescribed burning.

10       Your Worship, for the periods following up to  
          the fourth quarter of the financial year  
          2001/2002, that is to 30 June 2002, we've been  
          unable in the material so far provided to us to  
          locate equivalent minutes and we would simply  
          be seeking to ascertain whether those summaries  
          have been prepared. However, reviewing the  
          documents that actually sit behind the minutes,  
15       which are the various reports for each of the  
          fire management units, there appears, in my  
          submission, to be a similar problem presenting  
          itself to the fire management agencies,  
          particularly as regards fuel reduction burns.

20       Another indication of difficulties associated  
          with implementation, your Worship, is found in  
          an audit that was conducted in respect of the  
          implementation of the 1998 plan by Deloitte  
          Touche Tomatsu. That audit appears in folder 3  
25       of the brief. I think it is the first document  
          in that folder. Does your Worship have that?

30       THE CORONER: I do.

          MR WOODWARD: The document number is  
          [AUS.AFP.0039.0215]. A reading of the document  
          is assisted by the executive summary that  
          appears on page 1 of the document, which is  
35       0217, where the authors set out:

40           That the objectives of the review were  
          to assess the extent of progress made  
          by the department relating to the  
          actions section and the work program  
          section of the Bushfire Fuel  
          Management Plan and to make  
          recommendations where the monitoring  
          and implementation of the action and  
45       work program sections of the Bushfire

Fuel Management Plan 1998 could be improved.

5 It then refers to the requirement under the Bushfire Act that continues by saying:

10 This was not an easy task [that is the audit] for a number of reasons. Firstly the format and description of actions and work programs in the plan does not easily allow the agencies to report progress made against these actions of work programs. Secondly, 15 the agencies responsible for implementing the requirements of the plan were never informed that their implementation of the plan would be subject to external review.

20 Over the page, your Worship, the authors summarise the outcome of their audit work:

25 Urban Parks and ACT Environment, Conservation and Land Management, are meeting most of the requirements of the plan. In respect of the small number of actions and work programs where the requirements of the plan are not being met, acceptable reasons 30 exist for this. ACT Parks and Conservation are not meeting a material number of their requirements under the plan. Grassland burning activities is the main area where the requirements are not being met. The 35 main reasons given by ACT Parks and Conservation for not meeting their required grassland burnings included unsuitable weather conditions, 40 legislative requirements and resource limitations. Audit have identified a number of general issues that require management's attention regarding the monitoring and reporting of 45 implementation of actions and work

programs under the plan. The issues are listed below.

5 I won't go to each of these, your Worship,  
because many of them are issues relating to  
reporting and so on. But it's clear from those  
comments that there's a concern that there  
wasn't a rigorous process in place to actually  
10 monitor adequately the level of implementation  
and a lot of what the report relies on is  
anecdotal information provided by officers as  
to the extent to which the program was  
implemented.

15 Just drawing attention to one particular  
recommendation, your Worship, that appears in  
that document at page 9 of the document, 0225,  
under the heading "4.2", which is the more  
detailed description of the observation earlier  
20 in the executive summary of the failure by ACT  
Environment, ACT Parks and Conservation to meet  
a material number of their requirements.

25 The recommendation for dealing with that by  
this report, your Worship, is that:

30 The requirements of grassland burning  
within future plans take into account  
the restrictions of weather  
conditions, legislative requirements  
and resource limitations. A more  
achievable set of actions in regards  
to grassland burning should be  
included in future Bushfire Fuel  
35 Management Plans.

In other words, the auditors seem to be  
recommending not that there be an attempt to  
more rigorously pursue the burning program, but  
40 rather that the program be wound back to match  
what was achievable. I'm not suggesting, your  
Worship, that there's any evidence that that  
was the response to that recommendation, but it  
does indicate obviously some limitation in an  
45 audit of this kind, given that the auditors are

really monitoring only achievement and are not themselves experienced in the issues surrounding the need for fuel management of the kind dealt with in the plan.

5

It does go on to say, however:

10 If insufficient resources are available to complete all required grassland burning, the tasks need to be prioritised to ensure that the most important tasks are completed in the available time frame. The basis used to prioritise the tasks needs to be  
15 documented and retained for future reference.

20 There's then the last two-thirds of the document, which is a more detailed fire management unit by fire management unit summary of the achievements under the plan, which I won't go to at this stage, your Worship.

25 I should note, too, significant limitations in the conclusions that can be drawn from this material. Firstly, it clearly only goes to the 1998 plan, and there are no equivalent documents - at least none that we've so far been able to find - dealing with subsequent  
30 plans. It's not clear whether that audit process continued.

35 The other limitation, your Worship, is that this is limited to the work undertaken by ACT Parks and so far we've been unable to find any documents that provide a similar information concerning the activities of ACT Forests in relation to the pine plantations, and that's something that we'll be pursuing.  
40

I should just perhaps pause there to mention, your Worship, because it will come up in the context of other documents, there's been reference in some of the materials to which  
45 I've referred your Worship to the issue of

maintenance of fire management trails as part of the overall fuel management planning process.

5 For reasons which I'll come to, it's important, in my submission, to not lose sight of the fact that the maintenance of fire management trails within these areas is a particularly important element of the overall fuel management task and  
10 again, we're not in a position at this early stage to indicate what the level of maintenance was. There are some documents that suggest that it was adequate, but more recent inquiries would suggest that there were difficulties or  
15 issues about the level of maintenance of fire management trails, and that's another matter that will require further very careful research in my submission. It's almost as important as the broader issue of the accumulation of fuel  
20 for reasons which I'll come to shortly.

THE CORONER: Are you saying that this information is not available or you just don't have access to it at this stage?

25 MR WOODWARD: I'm not sure which of those it is, your Worship. In the time we've had to review the extensive material that has so far been gathered, we've been not able to find documents  
30 equivalent to these general reports, which I've taken your Worship to, that deal with the fire management trail issue. It may be a matter of sifting through a large amount of material and drawing conclusions from discrete documents  
35 rather than finding a report to deal with it. We've so far been unable to find any general reports that discuss the level of maintenance of fire management trails in the relevant areas, including the national parks and in the  
40 pine plantations. I'm not saying that they don't exist at this stage, and certainly we'll be pursuing inquiries with the other parties in relation to that in due course.

45 The plan for the following period, namely 2000

to 2002, document [AUS.AFP.0032.001], again a very large document and I won't go to that at all, your Worship, because as I indicated yesterday, there are very few changes between  
5 that report and the report that precedes it, namely, the 1998 plan. I am sorry, I should have said the plan that precedes it.

10 I was unable to detect significant changes to either the introductory sections or to the actions and work programs in respect of that plan. However, it should be acknowledged - and I will take your Worship to a document that appears in folder 3, unfortunately I can't tell  
15 your Worship where it is in that folder, it may be the next document after that Deloitte's report, which is an Emergency Services Bureau minute provided to the Minister for Justice and Community Safety at the time, who I believe was  
20 Mr Humphreys, in relation to the approval of that plan. It's at document [AUS.AFP.0037.0117].

25 THE CORONER: That's in volume 3?

MR WOODWARD: Yes, it is volume 3. It's only a two-page document and unfortunately I can't tell your Worship precisely where it appears in that folder.

30 THE CORONER: I have that. It's in volume 3, just before the Bushfire Fuel Management Plan.

35 MR WOODWARD: Thank you, your Worship. Your Worship will see that that's the minute by which approval for the plan is sought and it should be acknowledged that that minute contemplates a much more significant revamp of the fuel management plan for that following the  
40 one for which approval is being sought. At the bottom of that first page, in the last paragraph:

45 It should be noted the government land managers have agreed that for the next

5 review of the plan the format of the  
plan should be significantly  
restructured to make it more user  
friendly and the specific yearly works  
plans more evident. To this end the  
government land managers would work  
with the bushfire fuel management  
committee over the next two years to  
restructure the plan into components,  
10 such as strategic directions,  
technical matters and tactical  
treatment works. Some of the comments  
from the public submissions for the  
current plan are relevant to this  
15 order restructure and will be  
incorporated into the work of the  
committee.

20 It's perhaps worth also noting the approval  
that's shown on that document, it appears at  
least, your Worship, that the Minister has  
circled the agreed section but has added this  
annotation:

25 However, as discussed with P  
Lucas-Smith yesterday, there seems to  
be a number of inadequacies underlying  
this plan. The plan is good on paper  
but does not seem to address the  
30 reality that little seems to be  
happening in some areas to address  
bushfire fuel build-up. There is some  
point to the matters Val Jeffrey has  
raised.

35 I understand Mr Jeffrey may have provided a  
submission in response to the development of  
the plan as required:

40 I'm prepared to accept the advice I  
have here given that the present plan  
should be gazetted but the next  
version of the plan must make a  
serious attempt to overcome these  
45 deficiencies.

I think the initials are GH, 19 July 2000.

5 Your Worship, that process of revamp of the  
next plan was given, really, impetus by the  
fires of December 2001 and, as part of that  
process of revamp, the Department of Urban  
Services sought from Mr Cheney a report  
commenting on an early draft of the proposed  
10 plan for the 2002/2004 period. That report is  
the first document in folder 4.  
[AUS.AFP.0037.0137].

15 As I indicated yesterday, your Worship, in  
discussing the 1998 plan, it's apparent from Mr  
Cheney's comments in this report that many of  
the features of that earlier plan were carried  
through into the draft that he was reviewing.  
And I should say also, your Worship, for the  
20 benefit of my learned friends, as I've  
indicated, this issue is obviously an issue  
that would require significant further evidence  
before your Worship in the second phase of the  
hearings and we anticipate that that will  
25 include evidence from Mr Cheney discussing the  
adequacy of the early plans going back to the  
1998 plan. Of course, when Mr Cheney is in the  
witness box in relation to the matters which  
are referred to in the opening, the parties  
30 should feel free to ask him any questions they  
feel appropriate about this particular  
document. However, I did want to mention that  
it's likely he will be returning to the witness  
box in the second phase on the issue of fuel  
35 management in particular, which may be a more  
appropriate time to address these issues. But  
that's a matter for the other parties.

40 The executive summary appears at 0138 and is as  
follows:

This fuel management plan ....

45 I should mention this is a plan that was a  
draft of the 2002/2004 plan:

Documents the activities of the ACT  
land managers to reduce fuels on areas  
under their responsibility. There is  
5 a clear need for the Department of  
Urban Services to consider the problem  
of a major fire spreading across the  
ACT and impacts of fuel on lands under  
other management, and to consider the  
10 impact of fuel reduction strategies  
across tenure boundaries. The fuel  
management plan confuses the accepted  
terminology of fire hazard and fire  
threat. This confusion means that the  
15 plan does not fulfil the requirements  
of the Act. It does not identify  
areas of high fuel hazard for  
prescribed fuel reduction activities  
to reduce these hazards. It does not  
20 provide a program of works to be  
carried out during the plan period.  
Fire management zones are mapped as  
fuel reduction activities. This is  
misleading because a fuel reduction  
25 activity may or may not be carried out  
during 2002/2004. There are no  
strategic fuel reduction activities in  
forest and woodland areas planned for  
2002/2004. The maps accompanying each  
30 fuel management unit give the  
impression that some fuel reduction  
activity is planned in the strategic  
fuel management zone. The maps of  
past wildfires and prescribed burns  
35 are cluttered and confusing. Fires  
that have occurred in forests more  
than ten years previously are largely  
irrelevant to fuel management  
planning. Grazing should not be  
40 considered as a strategic fuel  
reduction activity. The areas  
identified as having grazing are not  
strategically located, nor is the  
grazing specifically prescribed to  
45 reduce fuels to a low level prior to

the fire season. Major areas of significant hazard omitted from the plan include defence property (e.g. field firing range) and land managed by the land and property section of Urban Services. Major assets on Mount Stromlo should be taken into consideration and fuel reduction on adjacent land considered. Issues to be considered in the next plan include: Statements of policy relating to standard fuel management procedures for routine activities, e.g. separation of houses from bushland, grassland or other fuels; roadside mowing, et cetera; a sensible policy for prescribed burning specifying acceptable maximum fuel loads; likely rotation and objectives in terms of fuel structure and composition; a full wildfire threat analysis that includes public consultation on relative values; fuel mapping to determine priorities for fuel management and suppression.

That does incidentally, your Worship, conveniently summarise the bulk of the report, but I think it is useful to go to some specific comments made by Mr Cheney in the course of the report. On the following page, he sets out the objectives of the report, which were:

To assess whether or not the fuel management strategies identified in the plan adequately address the key fire risks. To ensure that the fuel management strategies and policies have been identified are consistent with the overall objective of the plan which is to protect life and property as well as protecting environmental diversity.

Some of the specific matters that I referred

you to yesterday, your Worship, the first of those is at page 6 of the report, or 0142, in the middle of the page. The second sentence of the third paragraph reads:

5

The suggestion that a fuel at equilibrium load may have a lower flammability than that of a fuel accumulating after a wildfire in the first five years may be a special case where grasses invade a forest area as explained below. The suggestion that follows that planned burning to reduce fuel loads may only be of real benefit in reducing rate of spread for the first 6 to 12 months is certainly not the general observation that has been reported widely.

20 I drew your Worship's attention to that passage in the 1998 fuel management plan yesterday, and mentioned that that was one that Mr Cheney disagreed with.

25 Probably the most important section of this report, particularly given the events of earlier this year, your Worship, begins on page 7, or 0143, under the heading "Planning for Extreme Fire Danger Conditions":

30

The general principle for fuel management planning and wildfire threat analysis is to plan for the most dangerous conditions. This may be quantified by calculating the top percentile of the past fire weather conditions or by simply examining the conditions under which severe bushfire events occurred in the past. There is enough knowledge and evidence to show that the most severe events in the ACT will occur under a particular pattern of extreme fire weather. This means that the event will have been preceded by a period of below-average rainfall

45

as quantified by a high drought index. Under these conditions grasslands are fully cured and forest fuels are uniformly dry. The influence of recent rain will have disappeared and fuels on all aspect also have the same moisture content because they are in equilibrium with the atmospheric moisture. There will be a strong dry wind. In the ACT this wind will come from the north-west or west. Under some synoptic weather patterns this wind will precede a cool change when the wind direction suddenly changes to the south-west. The air mass after the wind change is generally moist but a large fire may burn severely in forest fuels for up to two hours before sufficient fuel moisture is absorbed to modify fire behaviour. Fire behaviour in grasslands will become less severe more rapidly. Using this principle, it is then possible to develop sensible strategies for fuel management and fire suppression and to prioritise assets that are most likely to be severely affected if a fire should break out under extreme conditions. It also makes it possible to identify areas that would support only mild fire behaviour for most of the year but which pose a considerable threat under extreme conditions. For example, the plan states (page 38, paragraph 2) that "the majority of the south Cotter area of Namadgi National Park poses little hazard to neighbouring lands due to the combination of low visitation, moist vegetation types and local weather conditions".

Again that was a passage in the 1998 plan which I took your Worship to yesterday:

5 Under extreme weather conditions, wind  
speeds at higher elevations will be  
greater than measured in Canberra and  
fuel will be uniformly dry. Forests  
carry heavy fuel loads and any fire  
starting in, or to the west, of the  
park will burn severely and carry  
considerable threat to adjoining lands  
10 on the eastern perimeter.

The plan goes on, or the report, your Worship,  
goes on in the following pages to deal with  
some of the specific concerns Mr Cheney has  
15 about the plan, and in particular in page 10 of  
the report, which is 0146, in the second  
paragraph. Mr Cheney observed:

20 The inclusion of amenity mowing and  
general grazing are activities that  
are not specifically targeted for fuel  
reduction.

25 The reference to amenity mowing is a reference  
to mowing which has been conducted for  
aesthetic reason in any event, and although it  
has a fuel management advantage, that's not the  
purpose for which the mowing is being done:

30 This obfuscation gives the impression  
that much more fuel reduction is being  
conducted than is actually the case.  
If the plan illustrated only those  
fuel reduction activities that are  
35 specifically carried out for fire  
protection within the period of the  
plan, it would be a very slim document  
indeed.

40 Over the page, your Worship, some examples of  
that. In the middle of the page, mowing:

45 The areas marked slashing/mowing asset  
on the maps of the fuel management  
units appear to be mostly the mowing

plan for Canberra Urban Parks and places. The maps do not differentiate those areas that are irrigated or those areas that are mown year-round for public amenity, from those areas that are mown only from October to March specifically for fuel management purposes to protect significant assets. The plan, therefore, has areas mapped with no fire hazard (e.g. the lawns in the parliamentary triangle), areas with no prior protection significance, (e.g. Springbank Island, cycle paths beside the lake and golf courses and walking paths in nature reserves), and areas that present a minor local threat but are maintained for public amenity, (e.g. suburban dry parkland, walkways, et cetera).

Your Worship, a few pages further on, page 13 of the report, or 0149, some of the strategies are elaborated upon. The bottom of the page under the heading "Strategies Needed in the Plan" says:

A fire management plan needs to have a clearly defined strategy that sets out how large fires that have the potential to burn across the ACT will be handled. At the moment the plan focuses on a microscale with individual fuel units. There is no broad scale consideration of the impacts of a very large fire or the simultaneous threat to a range of values including conservation areas, pine plantations and the urban interface. This strategy would set out the fire management activities needed to facilitate rapid suppression of a major fire. Issues to consider would be access, east-west control lines (particularly across the Cotter

Valley) and fuel reduced areas primarily designed to assist suppression and reduce the impact on neighbours. There is no overall consideration of the impacts that broad-scale fuel reduction could have on the spread of fire other than the impact on the immediate boundary between the asset and the fuel.

That's one of the references to access and the importance of access, to which I referred earlier, your Worship.

Specifically on the issue of burning in forest areas, at page 17 of the report, 0153, under the heading "burning", Mr Cheney observes:

There is no burning planned in the areas marked on the maps for burning FRA 2, strategic fire, and it appears from the overlay that no burning has been carried out since 1990 (excluding the areas burnt by wildfire this season).

Being the December 2001 fires. It continues:

As discussed above, the lack of fuel load specifications in the prescriptions means that managers can leave these areas without ever carrying out fuel reduction burning in them. The inclusion of these areas in the map of planned activities obfuscates the main issue of identifying areas of hazardous fuels and illustrating the planned activities to reduce them over the next two years.

Again, over the page, your Worship, it's worth observing specifically, given what occurred earlier this year to the paragraph, the last paragraph on the page, where Mr Cheney's

referring to specific or major areas omitted from the plan. He makes specific reference to the Stromlo Observatory and says:

5           There is no consideration of the impact on  
wildfire on the Stromlo Observatory,  
the ACTEW AGL water treatment facility  
and associated buildings.  
10           Consideration should be given to the  
fuel management both within the  
grounds of these facilities and in the  
pine forests and other vegetation on  
the western slopes of Mount Stromlo.

15          Your Worship, that report was completed or  
provided in February 2002 and then throughout  
that year, the process of completing the fuel  
management plan for 2002 to 2004 continued.  
It's perhaps worth observing that again, as  
20          with the Curtin fire in 1994, it was the fires  
in 2001 that seem to have provided the wake-up  
call for that major revamp of the plans that  
had been in operation since the 1998 plan.

25          Just to continue the chronology: because of the  
legislative requirement that there be a plan  
completed every two years and the priority  
being given at that stage to a new plan, a  
significant revamp, in February 2002, the  
30          Department of Urban Services sought approval of  
an interim fire management plan which was  
essentially an extension of the then current  
plan, namely the 2000 to 2002 plan, to enable  
that review to continue with a view to  
35          producing the more comprehensive and revised  
plan later that year.

That temporary plan, is at [AUS.AFP.0037.0164].  
Sorry, that document is a minute seeking the  
40          approval of that plan and the plan itself, or  
at least what may be a draft of it, is at  
[AUS.AFP.0037.0168]. I don't propose to go  
right over those documents, your Worship,  
because, as I say, the plan really was largely  
45          an extension of the existing plan to provide

the time necessary to conduct a major revision.  
Those documents are located in folder 4.

5 In due course, your Worship, following a  
process of public consultation, the new plan  
was completed and launched in November 2002.  
There are a number of documents generated as  
part of the launch of that plan. Again these  
10 documents appear in folder 4. They include a  
communications plan. These are documents that  
have been provided to those assisting by the  
Department of Urban Services - a Communications  
Plan for the Release of the Draft Bushfire Fuel  
15 Management Plan 2002. This document sets out  
the process by which the new plan was to be  
developed and made available for public  
comment. At page [AUS.AFP.0037.0179], the  
communication plan makes these observations  
about the process then under way:

20

An ACT Government wide planning  
approach has been implemented.  
Planning has been undertaken. Where  
previous plans described the fuel  
25 reduction activities to be undertaken  
on an agency-by-agency basis, this  
plan consolidated all of the proposed  
fuel management actions into a single  
set of easy to interpret maps.  
30 Consolidating this information has  
reduced the size and complexity of the  
ACT Bushfire Fuel Management Plan.  
The draft 2002 plan has incorporated a  
number of lessons learned from the  
35 severe bushfire events experienced in  
Christmas 2001. Modelling of bushfire  
risk to the urban interface and other  
key assets undertaken by ACT Emergency  
Services Bureau has helped to identify  
40 priority areas for bushfire fuel  
management on the urban interface.  
Increased attention has been placed on  
identifying the risks of fire in ACT  
forest and national park areas. For  
45 the first time, the 2002 plan has

identified a number of strategic bushfire fuel management actions to be implemented within plantation pine forests and Namadgi National Park. It is expected that these actions will provide for greater protection of both human and biodiversity values in the ACT.

10 So it would appear at least from the process that followed that much of the matters raised by Mr Cheney were acknowledged, accepted and the process of improving the plans for future years was under way.

15 There are other documents included in the brief associated with the launch, your Worship, which I won't take you to, and they follow that document in folder 4. But there is one document which I think it is instructive to read, and I do so without further comment. It appears at [AUS.AFP.0037.0021]. It's a document headed "Questions and Answers: Bushfire Fuel Management Plan".

25 I should indicate that the document as it appears in the brief appears to have a rogue second page. It's actually only a two-page document and comprising 0021 and 0023. Your Worship is no doubt familiar with this type of document, which is one that's prepared in this case for the launch of the 2002 plan in November and it's a set of question and answers which appear to have been prepared to assist the Minister on the making or on the launch of the plan with some difficult questions that might have been put to him at that time. I'm not in a position, of course, your Worship, to say whether those condition questions were put and, if so, whether the answers included in this plan were given but it does provide a sense, at least, of those in the department responsible for drafting this document as to what they considered to be an appropriate way to respond to the questions that were proposed.

The first question that was suggested might be asked was:

5           Why hasn't the ACT Government done more to reduce fire fuels?

The proposed response is:

10           The ACT has undertaken a significant amount of bushfire fuel management in the past year. This has included the relatively large amount of prescribed burning undertaken by ACT Forests in  
15           areas adjacent to pine plantations and a very significant amount of vegetation management in the most at-risk areas of the urban interface. Almost \$200,000 of additional funding  
20           was provided for this work. Land managers have also recently completed an extensive program of fire trail maintenance in reserve areas and a number of trails have also been  
25           realigned in pine forest areas. The aim of this work is to provide safe access to firefighters and assist in preventing fires from spreading outside of containment lines. It is  
30           important to note that rather than focussing on the amount of fuel reduction that's been undertaken, what we need to do is ensure that all of the most important areas are managed  
35           responsibly. That is where this plan is a significant improvement over its predecessors.

The next question:

40           So you've compared two areas at Gossan Hill - one to show before hazard reduction and one after - but why haven't you done both areas as they're  
45           close to houses and property? The

hazard reduction work undertaken on Gossan Hill and similar areas of urban interface was targeted at the most at-risk portions of the reserve. The work completed has enabled mowing of a reduced fuel zone behind the houses most exposed to the prevailing high fire danger conditions. The hazard reduction work you've done across Canberra is not enough; will you accept liability when there's loss of property and even life this bushfire season?

15 The response proposed is:

The ACT Government is well prepared for the current fire season and the hazard reduction undertaken more extensive and better targeted than ever. Fire is an integral component of the Australian landscape and no amount of fuel management can ever provide an absolute guarantee that fires started under extreme conditions will be controlled. However, targeting fuel reduction in the areas considered to be of greatest threat will at least give firefighters a better chance of success.

Jumping over two pages, the answer continues:

It is also worth remembering that fuel management is only one element of bushfire management and preparedness. It is used in combination with other strategies such as early detection of fires, fast response by firefighters, sensible urban planning and responsible behaviour from residents.

Clearly, your Worship, each of those are elements said to be part of the overall control process that would require careful examination.

The next question:

5           The ACT is way behind in hazard  
reduction work so you have created a  
dangerous situation for this bushfire  
season. What are you going to do  
about it now? As mentioned, the ACT  
Government land managers are well  
10           prepared for the current bushfire  
season. Can you please give specific  
examples of where you believe fuel  
management has not been undertaken  
appropriately and I will ask the  
relevant land manager to investigate?

15

Finally:

20           Because of the high levels of fuel on  
government managed land you have put  
properties and homes at risk. Do you  
accept responsibility?.

The response is:

25           Drought conditions have meant that the  
amount of grass available to be  
consumed in a bushfire is  
significantly less than can be  
30           expected to be present in most other  
years. This means that there is not  
the same amount of fire fuel available  
close to houses and other property as  
there is in most years. Once again if  
you can identify any specific areas of  
35           concern, ACT Land Managers will  
evaluate their bushfire potential.

Your Worship --

40           THE CORONER: Is there a date that that  
response was prepared?

MR WOODWARD: It itself doesn't have a date,  
your Worship, but it's associated with the  
45           media - there was a media alert that appears at

[AUS.AFP.0037.0006], dated Thursday, 28 November 2002 for the launch of the Bushfire Fuel Management Plan, which states that:

5           ACT Urban Services Bill Wood will  
          today publicly launch the 2002 ACT  
          Bushfire Fuel Management Plan. "We  
          learnt a number of valuable lessons  
          from last year's bushfires; the 2002  
10           ACT Bushfire Fuel Management Plan  
          contains the priorities for bushfire  
          fuel management for the next two  
          years", Mr Wood said.

15           It appears the launch took place on Thursday,  
          28 November 2002 at Gossan Hill. One can  
          assume it was prepared slightly prior to that  
          date.

20           THE CORONER: Thank you.

          MR WOODWARD: The plan was completed and  
          launched in November, as I've indicated, your  
          Worship, and it appears at [AUS.AFP.0031.0030].  
25           As would be expected, your Worship, having  
          regard to a gestation period of almost 12  
          months, there is no doubt that the plan for  
          that period launched in November is a  
          significant improvement on its predecessors and  
30           in our submission it will provide your Worship  
          with a useful starting point for any  
          recommendations your Worship would make in due  
          course in the area of fuel management.

35           As to the plan itself, your Worship, I don't  
          propose to go to it because the catastrophe of  
          the January fires has obviously had a  
          significant impact on the relevance of that  
          plan and no doubt particularly having regard to  
40           the recommendations of Mr McLeod in his report.  
          Work is being done to revise the plan and we  
          would hope to be able to provide, with the  
          assistance of our learned friends, an  
          indication to your Worship as to what revision  
45           has occurred during the second phase of the

hearings to acknowledge the fact that a large area of land that would otherwise have posed a threat is no longer.

5 It's perhaps worth just briefly referring, your  
Worship, pending the further examination that  
will inevitably occur in the second phase, what  
Mr McLeod said about the issue of fuel  
management. He deals with it in chapter 4,  
10 "Operational Readiness and Assessment",  
effectively from pages 83, including issues of  
fire access, through to about page 100,  
including the ministerial foreword for the  
Bushfire Fuel Management Plan for 2002/2004.

15 What he says on page 89 is under the heading  
"The Reality". Having referred to the plan and  
saying "that plans are of little value if they  
do not give rise to practical management  
20 outcomes against a clear policy framework and  
unambiguous set of measurable outcomes", he  
says:

25 The large quantities of fuel have  
accumulated in ACT Parks and Forests.  
Appendix E shows the area of the ACT  
that have been burnt in recent years.  
Of note, however, are the extensive  
areas that have not been burnt for  
30 many years. In the 2002/03 season,  
fuel loads in some areas were  
estimated at between 35 and 40 tonnes  
per hectare, described by some as the  
maximum available fuel load. That is,  
35 the balance between the level of fuel  
that naturally degenerates through  
composting and the fuel accumulates  
through leaf litter. After January  
2003, the ACT now has an opportunity  
40 to take advantage of the substantial  
reduction in fuel loads that resulted  
from the January fires. Planning  
should be reviewed, access tracks  
further developed and future  
45 strategies determined. This is easier

to do when there is less fuel in  
forests and parks. The likelihood of  
fires of the same ferocity occurring  
in the next few years is considerably  
5 diminished although grass fires are a  
threat and some areas still carry a  
heavy fuel accumulation both in  
Canberra and in rural areas remain a  
high fire risk. The Bushfire Fuel  
10 Management Plan should be revised to  
take account of the changed  
circumstances as a result of the  
January fires. Greater emphasis  
should be given to controlled burning  
15 in combination with other measures  
such as mowing and slashing in and  
around Canberra.

So I will indicate to your Worship, as the  
20 government has indicated, those recommendations  
will be implemented. It will be part of the  
second phase to examine what has been done and  
whether further work needs to be done in that  
area for the future.

25 As to the past, your Worship, in our submission  
the issues that these documents to which I've  
taken your Worship throw up in the area of fuel  
management for examination in phase 2 of the  
30 inquest are these:

Were the fuel management plans  
developed following the report by Mr  
35 McBeth and the Glenn task force  
sufficiently aggressive and  
comprehensive to have an impact on the  
conflagration events about which the  
government had been repeatedly warned  
for a decade or more before the 2003  
40 fires and, if not, why not?

In considering that first question, your  
Worship, it will be important not to overlook  
the interplay between fuel management regimes  
45 on the one hand and future trail maintenance

and community education on the other. By that I mean this first question raises two subsidiary questions. There may be circumstances in which it is both necessary and appropriate to limit fuel management in order to preserve conservation values, and that's acknowledged in all of the documents to which I've taken your Worship, but the question then is this: Has the network of fire trails been maintained to a level that will allow early aggressive attack, which is generally seen as the alternative to a high degree of fuel management, following an ignition in areas where there has been little or no fuel management? Secondly, if the decision is made not to pursue aggressive fuel management, are the fire suppression agencies adequately prepared and resourced to mount an early and aggressive attack in those areas where no fuel management has occurred? And most importantly, and this picks up comments made both by Mr McBeth and Mr Cheney in the reports to which I've taken your Worship, are the communities that may be affected by a fire starting in areas of high fuel loads where an early attack has failed, adequately prepared for the possible consequences of that decision to limit fuel management? Obviously that is a particular focus for the urban interface.

The second question, moving from the theoretical perhaps to the practical, for your Worship will be: was enough done to implement the plans that were in place from mid-1998, particularly having regard to the recognised inadequacies of the ad hoc approach to fuel management in the earlier years? Again, if not, why not?

Thirdly, your Worship, it will be necessary to consider and obtain largely expert evidence on this question: in either case, would it have made any difference; that is, would a more aggressive and more comprehensive fuel management regime, or alternatively more

detailed or more comprehensive implementation,  
have made any difference in either the capacity  
of the fire suppression agencies to control the  
firestorm that raged into Canberra on 18  
5 January or the devastating effect of that fire  
on the ACT and, in particular, on the urban  
interface? As I've indicated to your Worship,  
there's quite a bit of work to be done in order  
to provide your Worship with sufficient  
10 material on which to consider those issues and  
it's anticipated that there will be further  
expert evidence provided during the second  
phase of the hearing.

15 Your Worship, that concludes the material to  
which I wish to take you in the area of fuel  
management. There are, as I've indicated, a  
number of documents which I haven't directly  
taken your Worship to but form part of the  
20 brief and will potentially need to be revisited  
in the second phase. If your Worship pleases.

THE CORONER: Thank you, Mr Woodward.

25 MR LASRY: We call Mr Cheney, please.

**<MR NOEL PHILLIP CHENEY, SWORN**

**<EXAMINATION-IN-CHIEF BY MR LASRY**

30 MR LASRY: Mr Cheney, would you tell her Worship  
your full name and professional address and  
occupation, please.

35 A. Noel Phillip Cheney, CSIRO Forestry and  
Forest Products, which is in Wilf Crane  
Crescent, Yarralumla, and I'm a research  
scientist.

40 Q. And, indeed, are you the senior principal  
research scientist and project leader in  
relation to bushfire behaviour and management  
for CSIRO?

45 A. I gave up the position of project leader a  
couple of years ago and I'm now a senior  
principal research scientist.

Q. Yes. By way of qualifications, as I think you may have heard me open, you have a Diploma of Forestry from the Australian Forestry School in Canberra?  
5 A. Yes.

Q. Way back in 1963?  
A. Yes.  
10

Q. And you hold the degree of Bachelor of Science in Forestry in 1973 from the University of Melbourne?  
A. Yes.  
15

Q. Is that all the qualifications - not that that's not enough - but have I missed anything?  
A. No, they are my academic qualifications.

20 MR LASRY: Your Worship, Mr Cheney's curriculum vitae is quite substantial and I think by now has been distributed, but I just want to ask him a few questions about it. If it hasn't been, then my learned friends will get some  
25 benefit from what follows. There is a document which is 20-odd pages and I apologise to my learned friend because I thought I had made arrangements for it to be distributed. It will be soon.  
30

Q. Just dealing with the various positions, Mr Cheney, that you've held. If you go back to 1963/1964, you held the position of forestry officer grade 1, I think, with the Forest  
35 Research Institute?  
A. Yes.

Q. In the watershed research subsection?  
A. That's correct.  
40

Q. And basically what was the nature of the work that was involved in that position that you held?  
A. I was asked to investigate turbidity in  
45 the lower Cotter Dam and my first job was to

5 identify sources of sediment in the Cotter catchment and later to set up a watershed research program which was to prepare a number of experimental catchments which would be given different forestry treatments to assess the effect of forestry on water yield into the Cotter catchment.

10 Q. Between 1965 and 1972, still with the Forest Research Institute, you held the position of forestry officer grade 1, and broadly that work involved research carried out by you into fire behaviour and fire control; is that right?

15 A. That's correct.

20 Q. And I'll just go into a bit more detail about that. It included the development of prescribed burning guides and the application of aerial prescribed burning for fuel reduction in mountains and forests, modification of fire danger rating systems and investigations of fire behaviour and damage caused by large wildfire. You also examined issues of  
25 equipment development which included reference to aircraft and developing of fire retardant chemicals and things of that nature; is that right?

30 A. Yes.

35 Q. Between 1972 and 1974 you were a forestry officer grade 3 with the Forest Research Institute and during that period supervised researching the fire behaviour of various fuel types, and I take it that meant particularly various kinds of trees or various species of trees in forests and things of that kind; is that right?

40 A. Well, probably a bit more broadly, that we were looking at a whole range of vegetation types and again over the longer period, ranged from sugar cane burning in North Queensland, tropical grasslands in the Northern Territory, wet and dry forests in the southern states.  
45

Q. Also during that time, indeed commencing the year before that period, from 1971 to 1974, you lectured students in the degree of Bachelor of Science and Forestry at the Australian  
5 National University and the lecture courses included aspects of combustion physics and chemistry, fire weather, factors affecting fire behaviour, detection of fire suppression, the effects of fire ecology and the use of fire in  
10 forest management. Is that correct?  
A. That's correct.

Q. Between 1975 and 1980, now with the CSIRO division of forest research, you held the  
15 position of senior research scientist and your research involved research into fire behaviour and spread mechanisms in grassland and forest fuels, and you were a consultant to other scientists within the CSIRO undertaking  
20 research concerning fire effects on various eco types ranging from alpine woodlands to arid zone woodlands; is that right?  
A. That's correct.

Q. 1981 to 1985 you were the senior research scientist and project leader for Project  
25 Aquarius, which was a specially funded project to investigate the effectiveness of large air tankers in Australia, and your research  
30 included investigation into the behaviour of high intensity fires, suppression effectiveness of various chemical fire retardants, physiological performance of firefighters, effectiveness of large air tankers and other  
35 conventional fire suppression techniques and the economics of fire control. And there were cooperators in Project Aquarius which included forestry sections from the United States?  
A. Yes.

Q. From the Chisholm Institute of Technology, from the Forestry Department of Western  
45 Australia, the Commonwealth Institute of Health, Bureau of Meteorology, Country Fire Services South Australia, Forest Commission of

Victoria, as it was then, and the Country Fire Authority of Victoria?

A. Yes, that was a very large project.

5 Q. Yes. Between 1989 and 1995, again you  
occupied a position of principal research  
scientist and the work that you were doing  
during that period - I'm sorry, between 1985  
and 1989, the work that you were doing as  
10 described in the document I'm referring to  
concerned the national bushfire research unit  
which was a mission-orientated research program  
within the Division of Forest Research and  
received support from the CSIRO and outside  
15 agencies.

Areas of work included research into fire  
behaviour to understand the spread of bushfires  
in the natural environment and to develop  
20 models to predict the behaviour of fires and  
important fuel types, research on suppression  
technology to evaluate different suppression  
systems, to find the limits of effectiveness,  
research on fire meteorology to better  
25 understand weather affecting bushfires, using  
numerical simulation and field validation, and  
research on management systems using fire  
behaviour knowledge to develop better and safer  
bushfire management; is that right?

30 A. Yes.

Q. And then --

A. We were combined within CSIRO with the  
division of atmospheric research and I had  
35 staff situated in Melbourne, so the  
meteorological work was done by my staff rather  
than by myself.

Q. And since 1995, as you say I think you no  
40 longer were the project leader, but in your  
position as senior principal research scientist  
and then project leader into bushfire behaviour  
and management, you have undertaken research  
into fire behaviour to understand how bushfires  
45 spread in the natural environment, to develop

models to predict the behaviour of fire and important fuel types, undertake or supervise research on fire meteorology to better understand weather phenomena and also research management systems using fire behaviour knowledge to develop better and safer bushfire management; is that correct?

5 A. Yes.

10 Q. And the work that you have done over that extensive period has continued up to the present; is that right?

A. Yes.

15 Q. And since the fires of January of this year, have you spent a considerable amount of time accumulating information either from other people or from known data or from your own investigations and observations for the purpose of compiling a report for the Coroner in relation to those fires?

20 A. Almost wholly since the fires I've been doing that.

25 Q. Now, in addition, and indeed in the earlier days, Mr Cheney, had you been involved with the work done by Mr McArthur in his research into fire behaviour and the development of what's become known as the McArthur Index?

30 A. Yes, Mr Allan McArthur was my supervisor when I started in hydrology work and I was virtually shanghaied into fire. We got on well together and we worked together - I was providing experimental data for the fire danger rating systems that he was putting together.

35 Q. Yes. And how did you go about accumulating that experimental data? What was the process by which you obtained the data?

40 A. Pretty much all of it was by burning experimental fires in different fuel types and McArthur adopted the philosophy that there was no valid theory on fire and there still is no valid theory that fully explains how a fire

45

burns and spreads, and so we used a technique  
of burning fires under a range of weather  
conditions and then correlating the obvious  
variables of fuel moisture, weather variables  
5 and fire spread.

Q. Was some of that work done here in  
Canberra?

10 A. Most of the work that I did was done in  
Canberra on Bruce Ridge primarily between  
what's now Calvary Hospital and the Bruce  
Stadium, and on the dry forests out on the  
Cowen Ridge, west of the Cohen pine plantation.  
15 This was often done - we carried out the  
experiments throughout summer and usually  
combined it with our instruction to forestry  
students who were the firefighters that we  
employed as part of their training to control  
the fires.

20 Q. Yes. And with that went the necessary  
equipment, tankers and things of that kind, to  
enable you to control the fire?

25 A. We mostly had a Land Rover with 100 gallon  
tanker trailer behind it. Most of the work was  
dry firefighting and the tanker was just used  
to mop up the areas after we finished.

30 Q. Apart from that, in connection with  
various work that you've done, have you made -  
I think some nine overseas visits since  
something like 1978, either to attend various  
fire management courses or, for example, as in  
1983, did you attend in Canada in the United  
35 States as a guest key note speaker at the  
Intermountain Fire Council, 1983, fire  
management workshop on suppression options and  
alternatives in Alberta in Canada?

40 A. Yes.

Q. And have you made several other trips like  
that, including to such places apart from the  
United States as China, Portugal, New Zealand,  
and I think more recently - what was the most  
45 recent trip that you undertook?

A. It was to Portugal.

Q. And on top of that, have you been involved  
in something of the order of 54 different  
5 consultancies as a fire behaviour expert?

A. I think that's something like the number.

Q. It's a long list, isn't it? It commenced  
in 1986. Those consultancies have been for a  
10 variety of purposes, either as consultant to  
particular government departments or the  
offering of expert fire opinions to a variety  
of solicitors, fire services or government  
instrumentalities?

15 A. Yes.

Q. On top of that - I think in every case,  
you co-authored, but are you the co-author of  
some seven books on various aspects of fire  
20 behaviour and fire management between 1983 and  
1999?

A. Yes.

Q. And on top of that, have you prepared for  
25 some 13 publications - more than that actually.  
On top of the books - I'm sorry there are a  
large number of publications. I meant to total  
those, but a large number of referred  
publications where you've either written  
30 articles or co-written articles in an  
extraordinarily long list of publications over  
the years on these topics?

A. The list falls into two parts. There are  
those that have undergone peer review, which  
35 are the referee publications --

Q. Yes, referee. I said "referred", I beg  
your pardon.

A. And a fairly extensive list of unreferred  
40 publications, which I've just highlighted some  
of them. There are quite a few, and I sometimes  
get caught out because I haven't listed them  
all.

45 Q. I think the total is 91. A combination of

referred and unreferred. And finally, I think the number of conference papers that you've written and presumably presented at various points between 1994 and 2001 is something of the order of 13 different conference papers, again on issues of firefighting, fire management and various aspects of your studies over the years on fire behaviour; would that be correct?

5  
10 A. That list is quite incomplete. It's only recent conference papers and only those of major significance.

15 MR LASRY: Would that be a convenient time to take the morning adjournment.

THE CORONER: Yes.

20 **ADJOURNED** [11.22am]  
**RESUMED** [11.45am]

25 MR LASRY: Your Worship, Mr Cheney's CV has now I think been distributed to the parties. Mr Cheney, I just want to touch briefly on an area that has already been dealt with to some extent by my learned friend Mr Woodward in some of the material that he has read to the court and also in the evidence of Mr McBeth. In 30 1991, you prepared what was described as your comments on the Hannon Group Pty Limited report, which, as I understand, was essentially a report on the way in which the fire Emergency Services should be structured from then on. Is that a fair description of it. 35

A. That's correct. I was then a member of the Bushfire Council of the ACT.

40 Q. And that was one of the things that I left out of your CV in summarising it. You had been a member of the ACT Bushfire Council from 1979 to 1995, I think; is that right?

A. That's correct.

45 Q. And is it too much of a simplification to

say that it was the report of the Hannon Group, which led to the structure of the Emergency Services Bureau as it now is, in broad terms; is that effectively so?

5 A. I would say so, yes.

Q. And so you were asked or offered comments on that report and the structure which was proposed by that report - we'll come to this in more detail in phase 2 - but the structure was not favoured by you, was it?

10 A. Yes, I argued in my comments that I believed that the responsibility for fire management, including suppression, should be held by the land management agencies, be they forests or parks, or the rural people in the rural sector.

Q. In that document, which is at - I think you've got it in front of you, [AUS.AFP.0079.0197], and in particular page 0203, you set out your views on what you described as the future model for rural fires organisation in the ACT. Do you see that there, on page 7 of the report?

25 A. Of my report?

Q. Yes.

30 A. Perhaps I have the wrong report here. Oh, sorry.

Q. Just briefly I'll read from it, Mr Cheney. You say under the heading of "Future Model for Rural Fires Organisation in the ACT":

35

As the major rule, land managers in the ACT, the Parks and Conservation Service, should undertake the bulk of the bushfire fighting. This department should be totally responsible for all aspects of fire management, including finance, fuels management and providing a fire suppression organisation capable of suppressing most fires in their own

45

5 areas. The firefighting resources of  
ACT Forests should be reduced to meet  
under the requirements of ACT Forests  
who will be responsible for  
suppression of fires occurring within  
their area. Volunteer Bushfire  
Brigades should be maintained  
primarily to suppress fires on  
leasehold property but also to assist  
10 the ACT Parks and Conservation Service  
in the ACT forests, suppress fires on  
their land, and to protect homes on  
the urban fringe. Interagency  
agreements should be drawn up between  
15 ACT Parks and Conservation Service,  
ACT Forests, this will be particularly  
important if ACT Forests is made a  
government-owned corporation and is  
expected to return a profit from  
20 forestry operations, and the volunteer  
Bushfire Brigades and relevant  
authorities in New South Wales to  
provide a clear understanding of the  
operational expectations of each  
25 group.

The position of the Chief Fire Control  
Officer needs to be clarified. This  
person should have the power to  
30 coordinate fire suppression activities  
over all lands within the ACT in the  
event of an emergency, should be  
experienced in fire control and should  
be a member of the ACT Parks and  
35 Conservation Service.

You go on to talk about the Bushfire Council  
and some other matters, but that was  
essentially the thesis of what you were arguing  
40 for in those comments; is that right?

A. The comments that I had - I didn't say, I  
don't think, unless, again, this is another  
copy, that he should be within the Parks and  
Conservation Service, but rather someone that  
45 had the power of coordination in the event of

an emergency or a fire situation that was large enough that it required coordination and couldn't be carried out within the structure of ACT Parks and Conservation.

5

Q. Am I right that the primary thought behind all this is that the large land managers in the ACT, large government land managers, needed to be the people who would control fire suppression as well as land management; is that essentially what you were contending for?

10

A. My view is that I see that a land manager has to be responsible for the fires that break out on the land and take all reasonable steps to keep them under control, and that responsibility has to rest at the highest level of that agency so that the problem of fire management is understood fully by the agency at all levels and that they argue for appropriate finance from government to carry out fire suppression and the fire management activities that are necessary within the area and also that their other responsibilities, be it conservation management and in the case of parks or timber production in the case of forests, are also met with the pre-suppression measures that need to be undertaken.

15

20

25

Q. Now, Mr Woodward I think referred Mr McBeth to other portions of the report, which I won't go back to and repeat, but in other sections of your comments. You made certain predictions in the way in which a conflagration event might occur and the circumstances in which it might arise and obviously you adhere to forecasts or predictions you made then?

35

A. Yes, basically our philosophy of research for fire danger is to provide a scale which includes what we put in, in inverted commas, "worst possible", which is basically worst recorded or the top one percentile of fire conditions, so that the full range of possible fire behaviour is appreciated by the managers and that the planning that they need to do is something which doesn't cover the median event

40

45

or the average fire season but rather is planning what has to be put in place so that they can address what will happen under extreme fire conditions.

5

Q. Such as those which occurred in January of this year?

A. Yes.

10 Q. All right, thank you. I won't need to take you to that document any further. I just want to briefly ask you a few questions about the CSIRO during these fires. In the period that we've been, and we'll examine between 8  
15 and 18 January, the CSIRO, and your section particularly, were interested obviously in the fire and its proportions, and, I take it among other things, in any data that you might be able to obtain from observing the event?

20 A. Yes, we try to put people on the ground during these events so that we can collect reliable spread data under extreme conditions as data that is used to check what our extrapolations in experimental conditions are  
25 from experiments under milder conditions. So it becomes a valuable top-end data point.

Q. So to do that several people from the CSIRO and from your section were involved in,  
30 in fact, going out to the fires from time to time?

A. Yes, they were.

Q. And making observations and also, as we'll  
35 see later, taking some film of what they saw at various places as the fires developed?

A. Yes, I believe that we would have to do a reconstruction for our own purposes, if nothing  
40 else, to establish rates of spread and intensities of these fires.

Q. All right. Now, as I asked you earlier, and indeed as you said earlier, a lot of the data that you accumulated was accumulated for  
45 preparing the document which is now part of the

brief. The document entitled "Origin and  
Development of Bushfire that Spread into the  
ACT, 8 to 18 January 2003". It's a document  
you prepared in effect in report form; is that  
5 right?

A. That's correct.

Q. We'll come to the detail of it as we go  
through the course of your evidence. But in so  
10 far as it contains information which forms part  
of your evidence, to your knowledge and belief  
are the contents of it true and correct?

A. Yes, they are, as far as I have data that  
supports that. I know there is more data out  
15 there that I know of, but didn't have time to  
incorporate into the construction of the fire  
spread maps, and you will see that there are  
some areas of those maps which I've just put as  
"Under Construction", and I will go through how  
20 we collected that, but suffice at this point to  
say that a lot of it was hearsay evidence which  
will probably be tested within phase 2 perhaps  
and I expect through the proceedings to fill  
the gaps where I've had to make certain  
25 assumptions about what happened at different  
places.

Q. Do you have a copy of the document in  
front of you?

30 A. Yes.

Q. I just want to refer you to it in a couple  
of respects as we go. I'm not sure, your  
Worship, whether this has a number. I'm  
35 confident that it will have, or perhaps it  
hasn't.

Can I just take you to page 3 to start with,  
which under the broad heading "Background  
40 Information" and under that heading you deal  
with a number of matters, including the fire  
danger rating system, based on the McArthur  
scale, and then you go on to talk about the  
drought index, the drought factor, and the  
45 diurnal change of fine fuel moisture. I think

you probably have already dealt with the  
McArthur forest fire danger rating system in  
the evidence you gave before the break, but in  
relation to the other topics, the drought  
5 index, drought factor and diurnal change of  
fine fuel moisture, can you perhaps just  
summarise or overview the detail of what you've  
indicated in that section of your report?

A. I think to do that clearly I would need to  
10 use some diagrams because I think that it's  
important to understand the relationships  
between fuel and fire and the reaction with  
moistures and the different indices we use to  
help us characterise what they moisture level  
15 is --

Q. Well, there's no problem. Do you want to  
use the magic screen that we have here as a  
white board or do you want to refer to aspects  
20 of the two Powerpoint presentations that we  
have?

A. No, I think I can use this as a white  
board. I had a little practice yesterday and I  
think it would help to do some diagrams and  
25 particularly of the different fuels that are  
present in a forest fuel complex and how the  
indices are used to characterise the response  
of those fuels, particularly to changes in  
moisture.

30 MR LASRY: May the witness leave the witness  
box, your Worship.

THE CORONER: Yes.  
35

MR LASRY: If we can go into white board mode,  
please. There's also attached the magic pen,  
Mr Cheney, so perhaps I'll simply leave it to  
you to make the explanation as you wish. If I  
40 might be seated, your Worship, in the hope that  
my learned friends can see what's going on.

THE CORONER: Yes. I should indicate that  
courtroom 9 is also available. I note that if  
45 people are having difficulty seeing the screen,

and I know that there is to be some further presentation, then there is a large screen in courtroom 9. I just bring that to your notice. Yes, thank you, Mr Cheney.

5 A. What we refer to as fuel is a mixture of both living and dead material on the ground. And it comes in various sizes. I'll deal primarily with forest fuels. In Australia we use two rating systems - one for grasslands and  
10 one for forests. We do that because grasslands as a discrete fuel type are relatively uniform and can be applied across wide areas. They are relatively simple as it's basically standing grass and materials accumulated underneath it.

15 In forests, it's more complex. I'll just try to draw you a small diagram of the important components. If that's the soil level, we have leaf litter or fuels consisting of leaf litter,  
20 falling leaving, bark and twigs which builds up on the forest floor and it's largely sort of horizontally layered and is compact on the bottom, as it's decaying, where it's in contact with soil, and where new leaf litter is added  
25 on the top it becomes more aerated and more flammable as a result.

Within that we have growing material, which might be bits of grass put through it. This  
30 material is fine, often less than a millimetre in diameter. The leaf litter generally is two to three millimetres in thickness, although it may be much wider, and we then have larger rocks and branches of various dimensions which  
35 has accumulated over time in the litter bed, and we then on top of that have low shrubs and the shrub material also accumulates within it fallen leaf litter. So you have a mixture of suspended litter often around the base of these  
40 shrubs and depending on the density of the shrub will depend on the extent and the continuity of that layer.

45 In our eucalypt forests, we have the trees and they also constitute part of the fuel. Where

the bark is thick and fibrous, we have a layer  
of flammable material on the trunks of trees,  
on the smooth part of eucalypts which shed  
their bark each year. Then we can also have  
5 trees which are clean and non-flammable.

In general terms, for the fuels in the crown of  
the tree to be ignited, it requires a  
substantial fire within the surface litters and  
10 the surface fuels on the ground, which probably  
make up around about 80% of the total fuel  
load, to provide enough heat to dry out the  
green crowns and then cause them to burn.

15 In a pine plantation, there is just pine where  
the top of the plantation is green, but unlike  
the eucalypts, which have a habit of shedding  
their branches as they grow, the pines hold on  
to them and so it provides a step for fuels  
20 going from the surface - fuels up into the  
crowns of the trees.

The importance of this is really in what we use  
as the drought index and the drought factor.  
25 Now, as Mr Webb pointed out, the drought index,  
the Keetch-Byram Drought Index, was originally  
developed on the theoretical concept of the  
amount of moisture that the layers of the soil  
could hold, and so in a saturated condition, it  
30 was assumed that the top 10 or 15 centimetres  
or so of the soil could hold 200 millimetres of  
water within it or the equivalent of that.

So where it becomes important is in terms of  
35 transfer of moisture into the fuel, we have  
moisture coming from several directions. When  
the soil is saturated, we have moisture coming  
from the soil up into the lower parts of the  
fuel bed, and under those saturated conditions,  
40 these large materials also accumulate a fair  
bit of moisture as well.

The other moisture that comes in is we can have  
rain, which comes and wets up the fuel  
45 moisture, and as the effects of rainfall and

the soil moisture decrease in terms of when we have an increase in drought, we get to a point where the transfer of moisture is primarily from the air and there is a two-way exchange  
5 between the moisture level in the litter fuels and the amount of moisture that is held in the air mass above.

I don't know whether you want to save this,  
10 your Worship.

THE CORONER: I think that would be useful.

MR LASRY: Yes.  
15

THE CORONER: If we could do that.  
A. Okay. I'll simply label this fuel. If you could save that.

MR LASRY: Your Worship, the operator gave that a number [PC 0001], I think. It might be convenient if your Worship would simply for the transcript note that that's the exhibit number that goes with that. It's in effect a document  
20 for our purposes. There probably should be some record of it.  
25

THE CORONER: That's noted that document will become an exhibit [PC 0001].  
30

**<EXHIBIT [PC 0001] - DOCUMENT ADMITTED WITHOUT OBJECTION**

THE WITNESS: Can I have a new screen. I'll now deal with the influence of the Keetch-Byram Drought Index and how it is important in our calculations of fire danger because it is a way of estimating certain of the fuel conditions.  
35

With our little diagram on the side - I'll just do it as a block of soil with the leaf litter and logs. The Keetch-Byram Drought Index is an index which takes into account the evaporation of moisture from the soil and from the heavy  
40 log material, and evaporation is dependent on  
45

many factors, but the simplification of it for  
fire control use was to take the maximum  
temperature of each day and work out how much  
moisture would be extracted at a certain level  
of drought.

For example, if I'm looking at a graph of KBDI  
against time, when the conditions are  
saturated, a certain daily maximum temperature  
will evaporate a particular amount of moisture,  
and so the index rises from saturation to a  
certain level, depending on that loss. Now, as  
the soils and logs get drier, it becomes  
progressively harder to remove the moisture  
from it, so the calculation of this index is  
that as the drought increases, the amount of  
moisture removed is progressively less, and so  
if we had a constant temperature going for a  
large number of days, we would get - on the  
next period, it would be slightly less, and in  
the end we get a curve which tapers away and  
approaches the maximum value of 200  
millimetres, and it never quite reaches that  
because when it's extremely dry only tiny  
amounts, increasingly small amounts, can be  
removed.

Although it was originally based on the soil  
moisture capacity, the reality of the real  
world is that out in the forest we have all  
sorts of different soils and so if you were  
looking at soil moisture capacity, this might  
rise in this way for a heavy clay soil, but if  
we were in a sandy soil which had a lower  
capacity to hold water, it may rise quicker on  
this scale and end up in relative terms  
becoming drier sooner. What we were really  
interested in was the moisture content of the  
logs and the litter bed. So although the units  
are ostensibly in millimetres equivalent of  
rainfall, it has to be considered purely as an  
index that gives a relative number which is a  
proportion, a number, which indicates relative  
dryness between saturated condition at zero and  
at 200 completely bone dry situation.

The relationship between the drought index and fires is something that has to be built up by association by observations over a number of years as to what sort of fire burns at what index for your particular area. Now, the original associations that McArthur made in 1965/66, when he brought this system from America to Australia, were done in south-eastern New South Wales, and so are really probably more applicable to the ACT than perhaps in some other areas.

Although it's not a highly precise index, it is very useful and it's most useful where fire controllers have made the associations as to what happens in the field at particular indices.

Now, in general, at around about 100, in this part of the world we've found that conditions are sufficiently dry that the full amount of the fuel bed has dried out on all aspects in mountains and generally across the terrain. So at this point McArthur's claim was all of the material within the fuel bed became available for combustion, and --

THE CORONER: That's at 100?

A. At around about an index of 100, yes. In his fire danger rating system, he set his drought factor of 10 to match a Keetch-Byram Drought Index of 100. Below 100, certain things happen, and again depending on the particular site and the soil moisture holding capacity of the soil - for example, grasslands in some areas may become cured at an index of between 25 to 30, and so you have curing happening at that point. At other levels above 100, the drought index doesn't affect the fuel bed per se, but it affects other things such as large moist swamps become progressively smaller as they dry out, creeks start to dry up and the shrub vegetation starts to lose moisture, becomes under drought stress and starts to

welt.

5 All of these things that happen above 100 don't necessarily have much effect on the fire behaviour, but do have an important effect on the difficulty of suppression because natural barriers like shallow lakes or swamps have now dried out and don't provide a barrier for fire controllers to use.

10 Once you go above 150 or so, any progressive increase will eventually end in tree deaths because there's just not enough moisture to sustain tree vegetation. Dams will dry up, et cetera.

20 So the important thing for fire controllers in their area is to recognise in their own areas the particular levels of fuel that became available as this index rose. Now, in some cases if you are dealing with moist peat swamps, it may be that in your local area this happened at an index which was higher or lower than the generalised figure of 100. It's really for the fire controllers an aide-memoire because it's a bookkeeping method of keeping track of the amount of dryness of the soil. I think we can save that one, if it's wanted.

30 MR LASRY: I'd ask your Worship to note that as an exhibit as well as we go. I think it's been marked as [PC 0002].

35 THE CORONER: The diagram will be [PC 0002].

**<EXHIBIT [PC 0002] - DOCUMENT ADMITTED WITHOUT OBJECTION**

40 THE WITNESS: There are a couple of other - there are a number of other systems for keeping track of the effect of droughts and another one is the mount soil dryness index, which is also contained within the ACT. That is a little more complex because it takes into account the moisture content of different air masses. The

problem with all of these indexes is what we observe in one location as effects can't necessarily be transferred to another area and so the same effect would happen there.

5

The mount index works better in some locations because it uses a different set of evapotransferation formulae for locations which have a different average air mass, and so in simple terms I guess the coastal climate is more humid in general than is the tableland climate and so there is a separate way of compiling the graph for the coast than there is for the tablelands

10

15

But all of the systems need to be calibrated at a local level. It doesn't matter which ones you're using. Most of them work well when they start from a saturated soil and in the spring and summer follow this initial drying curve as the soils and the fuels are drying out.

20

If we get a rainfall event, then the index is reduced by the amount of rainfall that falls. It's a direct deduction, less a little bit for interception by the tree canopy and the litter bed itself. Then it starts to rise up again.

25

When we have summer rainfalls, the rain that falls can be heavy and need not all be transferred directly into the soil. All of the indexes tend to break down when we've had a series of heavy summer rainfalls because if it's a heavy rainfall event, much of it may run off because when the soils get dry, they tend to become hydrophobic and resist wetting up and they also may go - it literally channels within the soil which drain the water away from the surface and don't uniformly wet up the surface soil layer.

30

35

40

What we have noted is if this is January and June and has just reached sort of what is the theoretical saturation level before things start to dry out again in the following spring,

45

as things warm up and things get drier, then in fact the soil has not been saturated as the index indicates, and so when we have a particularly dry winter like we had last year -  
5 and we will sort of look at that briefly in the bureau's chart of the drought index for Canberra - we actually start off with the soils and the fuels being actually drier than the drought index indicates. So the conditions are  
10 worse than what you would expect if there had been a winter period when, say, this had been down at zero for two or three months.

MR LASRY: Mr Cheney, can I just interrupt for the purpose of asking you about that because you referred to one of the weather bureau slides and their presentation. I'm not sure whether it can be obtained quickly but that's also, I think, in your presentation. Your  
15 Worship, in volume 10, folder 10, in the weather bureau submission to the court, at page 18, I think that's the diagram that Mr Cheney has just been referring to. It may assist your explanation if you look at the actual diagram.  
20 I wonder whether I can show the operator the document.

A. Can I use that one out of my presentation and the one following because the one following is one of the original calibration graphs.  
30

MR LASRY: Yes. Your Worship, having confused the court operator totally, can we go to the longer Powerpoint presentation, please.

35 THE CORONER: This is the bureau's submission to the inquiry; is that the diagrams attached to that?

MR LASRY: The same diagram appears in Mr Cheney's --  
40

A. Slides 7 and 8 out of my presentation.

MR LASRY: It's the same one so your Worship can either look at the weather bureau submission at  
45 page 18, but you'll see the diagram in colour

shortly on the screen. It's slide 7. That's one of the ones I had in mind. Thank you.

5 A. This was the conditions of the drought index. There was heavy rain in February which brought it to zero, but again because that was a summer rainfall it was not as effective in wetting up the soils and the fuels as would be the same rainfall occurring in winter. Then we went through a pretty dry winter where  
10 intermittent short periods of rain kept the drought index in the 40 or 20 to 40 mark and it only zeroed briefly at the end of August and so the conditions that we set off from  
15 September/October/November we in fact drier in terms of both the soil and the fuel than you would expect on a normal year.

Perhaps if we could have the next one. This was a drought index that was part of the  
20 calibration that McArthur did when he was looking for associations in south-east Australia with severe fires and different burning activities, and he went back and traced or reproduced the drought index from about 1938  
25 onwards to 1965, and in various locations around southern New South Wales looked at the position where severe fires occurred and the index in those areas. Now, this was a graph taken from a coastal area down at Nowra in New  
30 South Wales where early in - it would have been 1965, and the drought that led into this, there had been severe fires both on the Tablelands and on the coast when the drought index exceeded 100 millimetres. At Nowra, they found  
35 that here in July, a bit like as occurred last year, the drought index almost came back to zero but then started to rise again in the spring and they were finding they were getting conditions where prescribed burns at this time,  
40 which would normally be mild, were burning considerably hotter and in the coastal forests, they were starting to get extensive forest fires at an index of 40 to 50.

45 Q. Thank you. Do you need to go back to your

earlier drawing?

A. I'd like to talk about the drought factor.

Q. Do we need a new screen to do that?

5 A. Yes, could I have a screen, please.

THE CORONER: Do you wish to save that previous slide? Is that to be saved, Mr Lasry?

10 MR LASRY: I think the --

A. It looks a bit like the Opera House!

MR LASRY: I think the subsequent factual graph would overtake the need for that one, so  
15 there's no need to save that one.

A. On the McArthur fire danger rating system, which I think has been distributed to parties - I'm not sure - he includes a numerical factor between 2 and 10, which he calls the drought  
20 factor. If I go back to my little fuel diagram, for the purpose of fire behaviour, his drought factor of 10 meant that all of the fine fuel on the forest floor became available for  
burning.

25 I'll go back one step. His association between the drought index and his drought factor was an indication of how much of that fuel bed was available and in the front of his fire danger  
30 rating system he assumed that when the drought index was less than 25 millimetres that there would still be some 40% of the fuel which would contain moisture and wouldn't burn under fire conditions, under normal fire conditions, at  
35 that drought index. So as the drought index rose from 24 to 100, you see in the windows on this fire danger metre a different number which indicates the fraction of that fuel bed which is available for burning. That range is from -  
40 this is a KBDI of 25. We have a drought factor of 6. At 25 to 62 - and I'll just put the last figure - it goes up to 7, and then eventually at 100 plus it becomes 10. Now, at all levels  
45 of drought index, you can get a secondary input of moisture which comes from recent rain. This

is good, it hides my spelling mistakes!

The rainfall tends to wet up tops of the fuel bed and so when we are calculating Fire Danger Index, we have not only the moisture that is coming up from the soil but we also have to account for the moisture inputs from recent rainfall. We can get conditions which are difficult to predict for, particularly when we get up to a drought index of 10, and I'll take out this moisture here, and we have a condition where the top surface litter may be wet from the recent rain, but the lower levels of the fuel bed and moisture may be dry.

Under these conditions, there are generalised curves which relate to the number of days during average summer drying conditions that it takes to remove that additional moisture that is added from rain.

The next moisture input is one that comes from the air. When we have a drought index of 100 and a drought factor of 10, then the moisture exchange within the fuel bed is primarily dependent by the amount of moisture that is in the air above it and that's where we get this two-way exchange between the air and the fuel moisture. And the rate that exchange takes place depends on the daily relative humidity and the daily temperature. So as each day progresses, we can have all our soil bone dry, we can have our large logs very dry, but we have the fine fuel taking up moisture when the humidity is high and then losing it again when the humidity is low. So despite these indices which are setting up the fire danger, what happens on an hour-by-hour basis in terms of the moisture content of the fuel and then the subsequent fire behaviour, depends on the daily change in temperature and humidity. Now in most eucalypt fuels, what we call moisture content of extinction is around about 20%. We call that FMCX. So at let's say a relative humidity which may reach 90 or 95 overnight, then the fuel can

take up enough moisture from the air that in fact it wont burst because it gets enough moisture in it to stop the fire from spreading. So even under extreme drought conditions, you  
5 can have on a daily basis conditions under which the fire will slow right down and that occurred during these series of fires. What often happens though is if you have the lost log material imbedded in that, that will catch  
10 alight and it doesn't respond to the change in daily moisture. So you have a condition where the litter fuels will burn very slowly, or even stop burning, but the large log material will remain alight and as soon as the litter fuels  
15 dry out the next day, they will reignited around the perimeter by the large material that is imbedded in it.

MR LASRY: Thank you, Mr Cheney. We'll save that one as well if you could, please. You can go back into the witness box, please, at least for the time being. Not for long, though.

THE CORONER: That chart, relationship between the KBDI and the drought factor will be [PC 0003].

**<EXHIBIT [PC 0003] - DOCUMENT ADMITTED WITHOUT OBJECTION**

30 MR LASRY: In the course of your report, in particular page 4, dealing with the drought index, you referred to the drought index for the Canberra Airport. We've just seen the  
35 graph and two of the features of that I think were that it dropped to zero I think around September, as you've pointed out, but only almost momentarily, and the other thing that you noted in your report that was important was  
40 that in October, November and December it rose steeply, and I think by something of the order of mid-December of 2002, that Keetch-Byram Drought Index had exceeded 100. Am I right about that.  
45 A. Yes.

Q. For that time of the year, is that unusual?

5 A. It is a little early for Southern  
Tablelands and mountain forests, or Southern  
Tablelands. The index in the mountains may  
have been a little bit lower, but in general  
the conditions were drier earlier than would be  
normal. Plus, in addition, not only because it  
10 was at 100 earlier, but in fact the effects  
that were normally attributed to an index of  
100 would have been happening at about an index  
of 80 or some index lower.

15 Q. Now, changing topics slightly, at page 5  
of your report, you discuss a number of fire  
suppression tactics. I might just ask you to  
summarise those as we go. The first of them  
that you referred to was direct suppression and  
20 I think direct suppression is self-explanatory,  
as you say in your report it is a method by  
which work is applied to the fire edge and that  
might be by the application of water or by  
pushing a burning edge of a fire backwards and  
25 so on. It's fairly clear. Obviously in  
relation to direct suppression, the  
circumstances in which that can be carried out  
will depend on the circumstances of the fire?

A. Yes.

30 Q. Easier in some circumstances and in some  
terrain than in others; is that a fair  
statement?

35 A. Yes, and it is pretty difficult if you're  
doing it by hand to sustain it for any length  
of time or under anything but the very mildest  
of fires, as you rapidly become exposed to heat  
and heat exhaustion.

40 Q. You then refer to parallel attack, and in  
describing that in your report, you say:

45 In this method, the fire line is  
constructed parallel to and just far  
enough from the edge of the fire to

allow work to be carried out  
effectively away from heat and smoke.  
A fire line can be shortened by  
cutting across fingers - indentations  
5 in the fire perimeter and is usually  
accompanied by burning out these  
pockets of unburned fuel.

10 What are the usual kinds of circumstances in  
which that method of attack would be  
appropriate or able to be executed?

A. Well, it's done either by hand tools or by  
bulldozers constructing a bare earth trail and  
really under drought conditions any fire  
15 suppression tactic that's adopted has to ensure  
that all the fuel down to the mineral soil has  
been scraped away and depending on the  
intensity of the fire, it depends on the width  
of trail that you need to create, and with low  
20 intensities you can have a trail between half a  
metre and a metre wide, which would be  
sufficient to stop the fire and it will go out.  
As the intensity gets slightly higher, then you  
need a wider trail.

25 When you have in difficult fuels large log  
material that has to be moved or cut through,  
eventually the task of cutting through that  
material becomes so labour intensive that you  
30 have to resort to a bulldozer which is big  
enough to shift the material and the distance  
that a bulldozer would work away from the trail  
really depends on the distance required not to  
drag burning material as he's working out of  
35 the fire and on to the other side of his  
action.

Q. You also refer to both indirect attack and  
remote indirect attack and am I right to say  
40 that perhaps both of those were tactics that  
were employed with some frequency in these  
fires, in January of this year?

A. Yes, all forms of attack were attempted to  
a greater or a lesser degree, but certainly  
45 indirect attack and remote indirect attack were

important tactics that were used.

Q. Perhaps I can just refer to your report. In relation to indirect attack, you described  
5 that as "a control line being established at  
some distance from the fire edge and the fuel  
between the fire line and the fire edges are  
burnt out". Remote indirect attack, I take it,  
is where existing, as you describe, existing  
10 fire trail networks become in effect the  
containment line, so is one of the differences  
between the two the area that's in which the  
fire is to be contained?

A. Yes.  
15

Q. It tends to be larger in the second area?

A. It's purely a matter of scale and very  
often you get to the stage where it is  
impractical to construct new fire lines with  
20 bulldozers and you are forced to go back to the  
existing road network and that that road  
network or the cell size within that road  
network determines the area that you're going  
to control the fire at in its final stage.

25 Q. Yes. Is it almost obvious that in the  
case of remote indirect attack the maintenance  
of fire trails and fire breaks is crucial to  
the success of that tactic?

30 A. It certainly speeds up the implementation  
of the tactic - if you have to open up trails  
and clear them during the fire, you can waste a  
number of days doing that. The critical issue  
in applying a remote indirect attack is not  
35 only getting a fire to secure the perimeter,  
but also to burn out all the fuels within that  
area that you have designated as your control  
lines.

40 Q. We'll see more about that when we come to  
a discussion of these fires, in particular in  
the way in which remote indirect attack was  
employed and what the consequences were of such  
an approach?

45 A. Yes, we'll follow that through in some

detail because it took some days to complete the operation.

5 Q. Yes. You also at page 7 refer to the various firefighting techniques. There's a lot more to fighting fires than hosing them with water obviously and a great deal of the problems I gather arise from the topography in which fires are occurring. It's not always  
10 possible, of course, to have large vehicles with large amounts of water in tanks being taken into some areas and some other methods have to be employed; is that a fair summary?

15 A. Yes.

Q. And the first of those, as you've set out on page 7, is in effect with hand tools and primarily with rake hoes. Is that the technique that you are describing in that first item on  
20 page 7?

A. That's the most common or series of implements or technique that is used when fires are small and in remote areas or to construct sections of fire line in difficult country  
25 which may be inaccessible to bulldozers.

Q. And, as I understand it, one of the most unpopular jobs in any fire brigade is spending hours out in the bush with a rake hoe. Would that be --  
30

A. Well, it's a tough job because we spent a fair bit of time measuring the physiology of firefighters undergoing fire line construction with hand tools and firefighters that are doing  
35 this for any length of time have their heart rates sitting up around 160 beats a minute for anything upwards of six to eight hours, which sort of drops the brakes. So that's really equivalent to long distance running, except  
40 that they're using mostly their forearms and upper body strength, and it's something that - to maintain it over any length of time, you really have to be fit and somewhat trained for it to do it.

45

Q. Obviously particularly in country where you're even getting to the fire may require some walking distance over difficult terrain, up steep hills and things of that kind?

5 A. Yes.

Q. You talk about direct attack with water, which doesn't require any further explanation, and you also refer to bulldozers and you note  
10 at page 8 in your report that as there's a decline of production forestry in native hardwood forests, there's now a difficulty in getting operators to work bulldozers in tall forests and in rough terrain. There are a  
15 number of different sizes in bulldozers, obviously from small to large, and that in turn affects the work they can do, but is it right to say that having people who are able to work large machinery in difficult conditions, such  
20 as these national parks, it's becoming more difficult?

A. Yes, well, it does require a specific skill and experience to operate a bulldozer in areas where you have to shift quite large logs.  
25 It may involve pushing down with the blade of a bulldozer, pushing down trees, and negotiating, particularly if it's granite country, large boulders which can take the tracks off the bulldozer. They can slip off a boulder and  
30 lose their tracks and be stranded on the fire edge and become immobilised. So it does require a specific skill and operator experience which with the reduction of forest operations around Australia and particularly  
35 logs in the hardwood forests, these operators are becoming more difficult to find.

Q. Yes. Are you able to say whether or not  
40 in certainly these days issues of conservation and damage that might be done to forests by bulldozers can arise as an issue when fire controllers are making a decision as to which method to use to suppress a fire?

A. Certainly there are a raft of different  
45 issues that come up. If you're disturbing the

topsoil, then the cut from the bulldozer, particularly in steep terrain, then makes that area vulnerable to erosion from water and rain and the cut really has to be specifically  
5 rehabilitated after the operation, so that's something which has to be built into the sort of afterfire operation and the expense of fire control. There are also other issues which become important as to damage to cultural sites  
10 and sites of Aboriginal heritage and the list can be quite extensive.

Q. These are judgments that are having to be made under some degree of pressure obviously as  
15 a fire is expanding and having to be dealt with?

A. Yes, I think there are issues where there has to be very concise guidelines which are available before the fire season and there has  
20 to be an understanding by the land management agencies as to the importance of the issue of controlling the fire and the urgency of controlling the fire, which comes back to another reason why I believe the agency has to  
25 take that responsibility because they are the best people to be able to identify areas of significance which may be affected by the fire control operations and weigh up the judgment of the importance of getting the fire under  
30 control or understanding the pressure that the fire boss is under when he has maybe two days before he's faced with extreme weather to bring the fire under control while conditions still make it possible.

35  
Q. In the section in your report on aerial attack, you deal broadly with two issues - one the effectiveness of aircraft and the dropping of either water or fire retardant chemicals and  
40 you also refer to the importance of having crews on the ground who can, I take it, maximise the benefit of having an aerial attack on the fire. Perhaps I can ask you first of all to just briefly refer to the difference  
45 between the use of water and the use of

chemicals and also then go on to give us an indication as to how ground crews can maximise the efficiency of aerial attack?

5 A. Water can be, particularly with helicopter operations, picked up directly and quickly and there can be a very short or relatively short return time between individual drops, which makes the helicopters a very efficient delivery system.

10 Under general summer conditions, the effect of a water drop probably only lasts about an hour, a little longer, - a bit like a light shower - a light sprinkle of rain on a very dry fuel  
15 bed. That drop of water will wet the top surface of the fuel but may not necessarily penetrate down below, and will extinguish the fire over a short length for a short period, but then has no long-term holding capacity  
20 unless - to hold the fire it must be backed up by an action on the ground because in the end, even if the helicopter drop is effective in suppressing the whole fire, it won't put out those large log materials which are burning  
25 because of the high drought level.

The other problem - and this applies - we might come to that.

30 Q. I'd ask you to just summarise the effectiveness of the fire retardant chemicals, their use, as you've said in the report, from time to time, just as to their effectiveness and the best circumstances in which they can be  
35 used?

A. Yes, fire retardant chemicals in use  
40 nowadays are mostly diammonium phosphate. The chemical interferes with the combustion reaction, and if the top surface of the fuels are well coated, it in fact will still work effectively when it's dry and so it will hold the fire for a longer period until perhaps it burns underneath the coating or follows a large  
45 log through across the level - the width that has been applied by the aircraft or however,

and so you can hold fires for periods of several hours or maybe 12 hours or more by an application of retardant before you bring firefighters to do the final job of ensuring that all the fuels are separated from the fire edge. So even using retardant chemicals you still need to back up with a bare earth trail of some sort.

10 Q. Finally, perhaps before we break, can I just ask you to refer briefly to what you describe as the safe work practices. I think we'll come to this as we go into the detail of the fire. You've set out a section here  
15 describing the safe work practice for firefighting and also for burning-out operations. These are fairly crucial issues for firefighter safety obviously.

A. This will take a few minutes.

20 MR LASRY: Perhaps we'll deal with that at 2 o'clock, if your Worship pleases.

25 THE CORONER: Just your comment on using water or chemical retardants. You say, Mr Cheney, that with the chemicals you can hold the fire for longer than you can with the water attack?

A. Yes, that's correct, your Worship.

30 Q. But in either event you need firefighters, you need people on the ground to maximise the effect of both of those attacks?

A. Yes. One of the problems with applying it from the air is that it doesn't build a  
35 continuous line, and so it tends to be applied in staccato fashion at individual points around the fire and it requires an operation either on a small fire where you can get around it with a number of drops, but once your fire gets a  
40 little larger the individual drops are easily burnt around and so it is most effective when they are actually supporting the ground crew who is building a line in a continuous fashion around the fire - and this is what I would like  
45 to go into after lunch if I can.



and hold the head of the fire, then an anchor point might be established somewhere up here, but you have to be sure that in selecting the point near the front, you are always going to hold that point. The danger is if conditions pick up and you're starting here, although it might be safe initially, there's a chance that you'll get a slight wind shift and this part of the fire, if you start constructing your control line around the front of the fire, the wind direction will shift and blow this point and cause problems there.

So in general terms, we say the anchor point is usually at the back of the fire. We would start here at the back - I've outsmarted myself here.

MR LASRY: Just while we restart the system, I wonder if perhaps the most efficient way of doing this might be if your Worship doesn't mind if from now on I remain seated and ask questions while I'm sitting down so that - because if I'm standing --

THE CORONER: Yes, everybody will have a good view of the board.

MR LASRY: I'm sure my learned friends love looking at my back, but they'd probably rather look at the witness.

THE CORONER: It's probably not as interesting as the board, Mr Lasry!

THE WITNESS: So the anchor point is established as the back of the fire, the wind direction is in that direction, and then firefighters will progressively move and construct their fire line, if they're using parallel attack as illustrated there, and as soon as possible they will establish - they might do direct attack here and move away, but as soon as possible they have to control this section of the fire line so that people who are

working up here, if there is a change of wind direction, can immediately come back and get inside the burnt area. The burnt area itself has some hazards but those hazards are usually considered less, particularly if there's an escalation in the weather and an escalation in the fire behaviour, so any portion of the fire moving away from it may place you in jeopardy.

Now, things look straightforward on a white board, but in the bush your visibility is often very low, you often can't see more than 20 or 30 metres away, and when you're constructing line over a considerable distance, it's hard to maintain your orientation in the field unless you are continually referencing yourself to the fire edge and know that in an emergency your action is straight back along the line, back on to the burnt ground.

The general practices when they're doing this is as soon as they've constructed their line, to burn out this area so that only a few minutes need elapse before this area is safe to go back to.

If you are constructing line with bulldozers and it's easy to move away from the line you can get yourself in a situation where you are too far away, so if there is a wind change and there is - this flank will take off - because it's a long line of fire, it will take off at its maximum rate of spread, which may well be many times the actual spread of the fire while it was spreading in this direction, so you can find a situation that this would rapidly carry out and in that spread it would be faster than the retreat time to get back on to the burnt area.

In recent times we've started calling this area here a dead man zone, and just by definition we allow five minutes to, a), recognise the situation has changed, stop the work, get the crew together and get back on to the area. If

that's going to take you any more than five minutes, then you're probably working in a very dangerous situation for fire changes.

5 A close attack like this - some people would call it a direct attack, but I'd prefer to call it a close indirect attack because it is indirect. I know of only one instance where  
10 firefighters have been killed in forest fires in the last 30, 40 years, which was actually an incident down in Dalesford where they got a long way from the fire and the fire actually had broken away behind them and had swept up and, although they had just managed to get on  
15 to the burnt area, they were overcome by hot gases and were killed. But in general terms, this close direct attack is the safest form of firefighting and we always say that direct  
20 attack is the safest form of firefighting for inexperienced people because they have a safe area to retreat to and if they're working close to the fire, they will be forced to withdraw if conditions get too hot because they will know and they will feel that the conditions are too  
25 hot for them to work. The temptation is to fall back, but we keep insisting to people: Work close to the fire and do close burning out of this line.

30 Again, if you get too far away and - we might go around the other side. You light your burning out fire along here at a distance which is probably around 25 metres or so. You will lose the convective draw of the original fire,  
35 which down here would draw this fire in towards there. Once you get a certain distance away, this will then form as another fire and will keep pushing you further away from the main fire edge, and as this fire gets wider and  
40 wider, it then has the potential to form a much faster rate of spread.

I'll just put here - I'll just put "anchor point". The hazards of course are not only  
45 from the fire but from the falling timber and

this is a situation that has to be recognised  
by firefighters in firefighting training and if  
you are forced to go back on to the burnt area,  
then you have to look up as well as around and  
5 see what's burning around and above you and  
select a safe location to sit it out if you  
have to sit it out in that area, which may be  
the case. You might have to sit it out for the  
rest of the day and wait for conditions to  
10 subside before you go. That can be frustrating  
but sometimes that's all you can do in this  
situation where it becomes too hot. Is there  
anything else?

15 MR LASRY: I was going to ask whether this is  
the appropriate time to ask you about fire  
intensity and temperature. You might have been  
in court yesterday when my learned friend Mr  
Stitt asked Mr McBeth some questions about fire  
20 intensity. That's obviously related to an  
extent to the safe working practices that  
you've been speaking about. Is there anything  
that you would want to add in relation to  
questions of fire intensity.

25 A. I think I'll talk about temperature first,  
if that's okay.

Q. Yes.

30 A. And could I have a new screen. Could I  
have permission to light a small fire?

THE CORONER: I can't give you that permission!

A. Was that yes or no, your Worship?

35 MR LASRY: Your Worship, we should first of all  
save that screen.

40 THE CORONER: We'll call that the safe working  
screen. Will that be 0004? It will become  
exhibit [PC 0004].

**<EXHIBIT [PC 0004] DOCUMENT ADMITTED WITHOUT  
OBJECTION**

45 THE WITNESS: It was a difficult and important

question that was asked by counsel yesterday of Mr McBeth. I need to explain that. A simple explanation is by looking at a flame, which my lighter has run out, but you can see, if you  
5 can see, that the bottom of that is almost clear and there is an incandescent portion on the top. If I draw that diagrammatically, we have the lighter - a thin combusting section which is a little bit broader on the top, like  
10 so. Now, the temperature is a way, a measure, of the site of excitation of molecules. We sit at a temperature of about 37 degrees Celsius, which is what the molecules in our body are reacting at. When we have a reaction that  
15 causes an exothermic reaction that causes heat to be released, we have a high state of excitation of the molecules in the combustion zone. In this case, with my lighter, we have sort of cold gas, which is propane, coming in  
20 at the base and filling up that envelope and being at a body temperature that's probably around 35 degrees Celsius. It then on this narrow reacting boundary that you can see has the visible flames is the carbon that's  
25 produced within the reaction at a very high state of excitation, and the temperature, if you could measure it - and this is part of the problem of talking temperatures, being able to measure it - the temperature in this section  
30 here, right on the red part, is around about 1,000 degrees Celsius. The air outside - in this courtroom it's probably close to 35, but elsewhere it's probably around, let's say, 25 degrees Celsius around it.

35 Now, this is called a diffusion flame because the combustion is taking place on the envelope between the gas that has come out of the lighter and the oxygen in the air surrounding  
40 it.

Our bushfire flames are almost exactly the same as the flame out of the lighter, except that they are mixed up and a turbulent mixture of  
45 gases. So by comparison - I'll try to keep

talking into the microphone - we have our fuels on the ground, which effectively is releasing a lot of - there's a whole lot of these points from the fuel bed which is emitting hydrocarbon gas, which is a mixture of propane and methane and almost any hydrocarbon you like to name because the reaction is a chaotic one where the fuels are literally torn apart and then reform in a number of different hydrocarbon combinations and when people ask what sort of chemicals can you get out of a bushfire smoke or in a flame, you can get almost any chemical that you care to name if your analysis equipment is sensitive enough.

So we have a situation where the gas is coming out and it's mixing in a turbulent way with the air around it. We'll go to red now I think. In fact what our flames are are a mass of these combusting zones where we have a mixture of the gases coming out on one side and the cold air on the other side and the combusting area in between it. This is repeated right through the flame complex - gas on one side, the air - and eventually what is coming out the top is your combustion products, which is what's carried up there. So as well as the gas, the air that's entwined, we then have combustion products mixed in with this as well.

I know that's not a very good diagram, but it is a turbulent mixture of hydrocarbon gas being emitted from the fuel, the air that's been drawn in to burn on a boundary between the gas and the air, and that combustion product coming out at all stages in that flame.

We might save that one so I can go to a new screen. I'll just put "flame temperature". While you're saving that, John, I'll just do another demonstration and my lighter is running out of gas, but I can - although that's 1,000 degrees, I can pass my finger through the flame quite comfortably because there's the difference between temperature and heat, and

the heat is the rate of energy output.

Now, although it's 1,000 degrees Celsius, the rate of energy output is very low. So when  
5 we're asked about flame temperature, we often say we measure flame temperature to the nearest half brick, because what's important is not so much the temperature of the flame, but how it transfers that heat to the object that you're  
10 interested in, being my finger or the side of a house or another piece of wood.

Q. Just on that, questions were asked of Mr  
15 McBeth yesterday. My learned friend Mr Stitt was asking about particular measurements in kilowatts per metre. Is that a recognised measure of either heat or energy output in situations where a fire is burning?

A. It is a measure of energy output and I'll  
20 go on to that. If I just expand the sort of measurements that we have been able to make on flame temperature.

Q. Yes.

A. If we were to take a cross-section through  
25 a flame with all the turbulence going on, in general terms it would look something like this. You'd have a series of this and then we'd have a tall section at the front of it.  
30 The height of the flames really depends on the amount of aeration or the distribution of the material that's being burnt. We get our tallest flames of course when what we're  
35 burning are sort of trees in this area, so we're getting flames not only from the fuels at ground level and the intermediate shrubs that might be there, but also flames from the canopy itself.

40 Now, if we look at the temperatures there, the very tip of the flame, which unlike the sort of hot part of the pre-mixed flame, which is what you get out of a gas stove when you're mixing  
45 air in with the fuel and burning it - the temperature at this tip is about 300 degrees

Celsius, and that's low because it is mixed with the combustion gases and the air that's entrained all along the flame. Air is being entrained into it both for the combustion  
5 reaction and because of the buoyant rise of the flames themselves being lifted upwards, the temperature increases from the tip downwards into the flame and when we come down about six metres, say at this level - and say that's a  
10 distance of six metres - we now have a temperature in here which is approaching 1,000 degrees Celsius. Within the structure of that flame, from six metres below the tip down to ground level, it's between 1,000 and 1,200  
15 degrees Celsius.

The persistence of these flames, these very tall flames at any one point, is very short and about 10 to 15 to 20 seconds, between 10 and 20  
20 seconds. It never looks like that when you're looking at film or video of it because it is always moving on into new fuel, but if you were to look at one particular - say, we were to look at that tree canopy, we'd find that if  
25 that tree canopy was engulfed in fire, it would be burnt out within about 10 seconds and then it's moving on to the next tree canopy. So there's that illusion that you get that the flames are persisting for a long time.

30 There's also this persistence of continuous flame zone here, which generally lasts between one to two minutes. These low flames are because the fire is burning downwards into the  
35 litter bed, and so that's compacted fuel and it's burning from the surface down. These flames are burning because the fire is moving into the new fuel bed and it's aerated, very combustibile and produce the high flames.

40 On extreme conditions, these flames generally peak out at about three times the height of the vegetation. So if the vegetation is 40 metres high, we can expect flames going up to maybe  
45 120 metres maximum.

For the flames to go any higher, then it requires some constriction of the gases so that they're not mixed with the air around it.

5 Occasionally you get a vortice which will concentrate the gases and carry the column of unburned gas up to a much greater height and probably the highest flame flashes of continuous flame flash that we've been able to

10 observe is something like 300 metres above the forest. It was also at a very sharp angle because it was obviously constricted either by a large amount of fuel lighting up at one time and producing a large amount of gas that was

15 constricted and carried upwards but still burnt in the same way as my gas lighter - it burnt on the outside of that column of gas. I'll just call this "Forest Fire Temperature". Can I save that please, John.

20 THE CORONER: That diagram will be [PC 0006] And the previous one, the "Flame Temperature Diagram" [PC 0005].

25 **<EXHIBIT #[PC 0005] - DOCUMENT ADMITTED WITHOUT OBJECTION**

**<EXHIBIT #[PC 0006] - DOCUMENT ADMITTED WITHOUT OBJECTION**

30 THE WITNESS: The statement about fire walls is one that is commonly referred to and it's a term that's widely used with I guess many different interpretations. My interpretation

35 of a fire wall would be a flame that is separated and is moving ahead of the fire, a bit like the situation when you have one of those boiling expanding gas explosions where a big pool of gas is produced and it's dense and

40 then it sort of moves off and does actually travel close to the ground. It's something which is almost impossible to get in a forest fire for two reasons. One is that 1,000

45 degrees temperature and the gas is heated and is mixed up and it is buoyant and it wants to

go upwards and it wants to fight against the prevailing wind, so just can I have another screen.

5 In common vernacular amongst firefighters, and I've looked at what different people have called fire balls and often the only interpretation I can give is that they are describing the flames, nothing with particular  
10 distance about it. In some situations when people are looking at a forest fire which is crowning and the fires are coming out of the top of the crowns and looked at a distance, it appears as those the flames are rolling along  
15 the top of the crown, but in fact that's a situation where successive crowns are burning. People have said just talking about crown fires, that the fire has now started fireballing, which is really just saying it's  
20 crowning.

What does happen, though, is that if we have a fire which is burning up to the edge of a forest and being driven by the wind, it gets to  
25 a point where it comes out of the forest and this part is burnt out or just burning with low flames and the fire has lost the bulk of its buoyant energy and so the wind then starts to dominate and these flames that are produced  
30 from the crowns here are being forced downwards or straight out from the tree crowns.

So this is something that happens on the edge of the forest. Seconds before they were high,  
35 and then as the fire loses its energy from down here, then the wind dominates and pushes the fire over and sometimes pushes it down towards the ground.

40 Bits of this may break off and appear momentarily as independent bubbles of burning gas and the same as going upwards, and I guess it's this phenomena that should be understood, but again there is limited capacity for that to  
45 travel down wind because there's only so much

gas produced by the crowns of the trees which  
is mixed and being mixed very rapidly and  
burning as it's blown down. For the years that  
I've been looking at fires of all intensity,  
5 that is the best technical description that I  
can give of fireballing. Again, we would  
expect that the maximum carry of those flames  
coming out of the forest would be probably  
because it's losing energy one to two times  
10 tree height.

THE CORONER: If I could just ask one, Mr  
Cheney. We've heard a lot about the fire  
crowning. Could you just explain crowning. I  
15 think you probably have already touched on it  
there. Does it simply mean from tree top to  
tree top and just moving in that fashion?

A. No, in the strictest sense, it just means  
that the crowns of the tree are burning. In  
20 something like a pine forest, the whole of the  
fuel complex from the ground to the tree crown  
burns at virtually the same time. Because the  
flames are being flanked by the wind, the  
leading edge of the fire will probably ignite  
25 the tree crown before it ignites the fuel on  
the ground, but in that leaning situation, the  
transfer of radiant heat downwards to the  
ground and the embers that are falling means  
that the ground will be alight only seconds  
30 after the tree crown is alight.

In our eucalypt forests, the crowns are  
sufficiently widely spaced that it is  
impossible to get the fire moving any distance  
35 from crown to crown before it's diluted too  
much by the air around it, and a crown fire in  
a eucalypt forest requires a substantial fuel  
underneath it to sustain it.

40 MR STITT: Is that diagram to be kept?

MR LASRY: Yes.

THE CORONER: So that will be [PC 0007], that  
45 fire out of the forest diagram.

**<EXHIBIT #PC 0007 - DOCUMENT ADMITTED WITHOUT  
OBJECTION**

5 MR LASRY: While we're talking about fires  
coming out of the forest and so on, and we'll  
come to this in more detail when we come to  
your evidence dealing with the specific fires  
but in your report at page 22, in your  
10 narrative of what occurred on 18 January, you  
describe the fire which was the McIntyre's  
fire, I think. You say:

15 The head of the fire burnt through the  
Mount Stromlo forestry settlement soon  
after 3 o'clock and first crossed into  
Duffy just east of the intersection of  
Warragamba Avenue and Eucumbene Drive  
at 3.05. By 3.45 the fire had entered  
20 the suburb of Duffy between Dixon  
Drive and Hindmarsh Drive.

In that paragraph, what are you describing as  
entering the suburb? What is it that's in the  
25 suburb, or is it the point at which the fire  
runs out of some degree of energy because it's  
no longer being fuelled by combustible forest  
or whatever?

A. I probably just need to go a bit more into  
30 the structure of what's happening around the  
flame front.

Q. All right, okay. Could I have a new  
screen. Because of the buoyant convection of  
35 the fire, most of the air that is driving that  
fire is coming in from behind the fire. So,  
again, if I have my fire such as that being  
driven by the wind, the strongest convection is  
coming from the strongest burning part of the  
40 fire, and so it will be somewhere here  
depending on the wind strength. Now, it may be  
located behind the fire edge or on very high  
intensity fires it may be located just in  
front. That's probably the situation where we  
45 had a vortice formed in this zone right in

front.

This drawing is accelerating the end draught of  
the wind driving and falling. So if the length  
5 of wind is indicated by the length of arrows,  
we have a stronger wind coming into this part  
in a fashion such as this.

This acts as an obstruction to the wind  
10 downstream, and so around the fire we have it  
affecting the wind around it in this sort of  
manner. It's drawing it around the front and  
along the side and pulling it in towards the  
combusting zone. Downwind you get - because of  
15 the strong convective centre which is almost  
like putting a building in the way of the wind,  
you get a zone which is an Eddy zone where the  
winds can be light and variable for a certain  
distance downwind.

20 If I was to look at that in sections, and I  
have my tall flames here, we have this enhanced  
wind that is coming down into the fire, and  
because it's accelerated, it actually dives  
25 down, so behind the fire is a pretty strong  
down-draught which is coming down into the base  
of the fire. Before it gets carried up, it's  
accelerated by buoyant effect and accelerated  
upwards.

30 The angle at which this sets is a balance  
between the buoyant convection of the fire and  
the strength of the prevailing wind. If it's  
burning, for example, through grass, the  
35 buoyant convection in terms of the amount of  
energy per square metre is relatively low so  
that this prevailing wind can dominate and  
flatten those flames so that they're almost  
lying directly along the grass surface.

40 In a forest where there is a high fuel load,  
the flames want to stand up straight. The  
buoyant convection pushes them up and provides  
a resistant to the prevailing wind. Down-wind  
45 we have this zone where the winds can be light

and variable and it can be one of those features which takes people quite by surprise because although it's dark and there's something approaching, it seems that the wind has dropped and often you hear, "We're okay, the wind has dropped," and the next thing you hear a yell of surprise as the fire comes through.

10 This enhanced wind at the back of the fire can be very strong and particularly in grasslands but also in forests, this can pick up a mass of ash and burning material which is behind the fire, so someone who the flame front has passed and is now in this zone behind may well find themselves in an area which is for a few metres high is actually filled with flying silt and dust and burning ash and all mixed together and so when the fire hits an interface, and in many cases the fire came out of the forest, across a main area and then sort of ignited the houses, people sort of saw the flames at first and then were engulfed in this mass of wind blown partially burnt, still burning and some unburnt material which was being blown along by this wind which was following up what had been the convective front of the fire.

I'll do a mini-diagram down the bottom. When you have run out of fuel such as on the sort of interface with houses or on the road there, although there are no flames, the energy that was released at this part of the fire when it was back here is still going upwards in this area and this strong down-draught wind is still blowing across for some time.

So even though the prevailing wind is very strong, you have this phenomena where the wind near the ground is coming down, it's a down-draught which is forced to pick up a lot of burning material, and there are many descriptions of people standing and just giving descriptions like it was mass of red locusts flying across the ground, and what they were

looking at in the very dark conditions was all this blown, burning material which had come from behind the actual leading edge of the fire.

5

MR LASRY: We'll save that.

A. We'll call it "Fire Wind".

10 THE CORONER: That fire wind diagram will be [PC 0008].

**<EXHIBIT [PC 0008] - DOCUMENT ADMITTED WITHOUT OBJECTION**

15 MR LASRY: Have we covered that?

A. I think now I have to talk about fire intensity.

20 Q. Yes, I'm sorry, which is where we started a little while ago. I think that's what the question was about initially.

A. I think so. Yes. As Mr McBeth said yesterday, the fire intensity is a calculated number which helps us represent in numerical terms the heat being released from a fire. It's the product of the heated combustion of the fuel, that's 'H', the weight of fuel consumed, which is 'W', and the rate of spreading of the fire, 'R'. It has units of kilowatts per metre. Sometimes there's a confusion between radiant heat flux, which is the transfer of radiant heat, which has the units of kilowatts per square metre, but that's quite different.

35

In diagrammatic terms, we'll have two perimeters of the fire - one at time one and a second one at time two. The fire intensity is calculated for each metre around this perimeter of the fire. The figures involved in this case are for this metre of fire. In this strip it has travelled a certain distance and has consumed the available fuels within that area. It identifies the amount of heat release that the fire has given off when it travelled from

45

this point to this point.

5 It varies all the way around the perimeter, as  
you can see. If we come to the minimum one, a  
metre here will be calculated consuming the  
fuel over just that distance. Now, normally we  
characterise fires by this figure, which is  
calculated for the head of the fire. But it  
10 does vary all around the perimeter, and if we  
were to plot the intensity release where this  
is, let's say, the head and this is the back  
part and we're coming backwards either side of  
this line, the intensity figure would be  
something like that. So all it's simply saying  
15 is that the lowest intensity part of the fire  
is at the slowest spreading part and the  
highest is at the fastest spreading part of the  
fire.

20 It's useful to compare the effects of fire in  
the same fuel type but because, for example,  
between forests and grasslands the burning  
characteristics of the fuel are very different,  
one can't compare a fire which has an intensity  
25 of, say, 10,000 kilowatts per metre in a  
grassland with a 10,000 kilowatt per metre fire  
in the forest. A 10,000 kilowatt per metre  
fire in grass will have flames of about six  
metres high and is probably travelling, at a  
30 guess - and someone will work it out, I'm sure  
- at three to four kilometres an hour. At a  
10,000 kilowatt fire in the forest, it will be  
a crown fire, with flames extending through the  
crowns, and it will be travelling at around 1  
35 kilometre an hour, just depending on the fuels  
consumed.

MR STITT: Sorry to interrupt. Could you just  
tell me please in the equation what the 'H'  
40 stands for?

A. The 'H' is what we call the heat yield.  
Now, it's similar to the heat of combustion of  
the fuel, but the heat of combustion by  
definition is the heat released from a kilogram  
45 of fuel when it is completely consumed and is

reduced to a standard pressure. In an open situation, not all the fuel is consumed, so it becomes an average figure of what's likely to be consumed.

5

Now, not all of the fuel is consumed because some of the combustion products that are sent off above the fire might include carbon and various carbon hydrons which are still flammable but not consumed in the process. Generally this heat yield figure is between 5% and 10% lower than the heat of combustion, and in general terms, for most hydrocarbon natural fuels, this value is between - we'll spell it out - it's between 16,000 and 18,000 kilojoules per kilogram of fuel.

We generally treat it as a constant because 16,000 might be common for grass and 18,000 might be common for eucalypt fuels and although there is variation, it is not much, and compared to the variation that we have with both 'W', the fuel consumed, and the rate of the spread, and if you were working out the units, a watt is a joule per second, so it's a rate in terms of the heat release in joules per second or watts per metre of fire front.

MR STITT: Sorry to interrupt you again, but is the 'W' measured in tonnes?

A. It depends on the units that we're using. In this formula, 'W' would be in kilograms per square metre and the rate of spread would be in metres per second. If I add a constant in the front of it we could use tonnes per hectare or kilometres per hour or whatever. But as it stands, kilojoules - I might as well write this. 'W' is available fuel, which is fuel consumed, and I'll just write "fuel burnt" because I'll probably misspell "consumed". That's in kilograms per metre squared. And 'R' is rate of spread in metres per second.

MR LASRY: Thank you. We'll save that and give it a number if you wish.

THE CORONER: The diagram of the fire intensity will be [PC 0009].

5 <EXHIBIT [PC 0009] - DOCUMENT, ADMITTED WITHOUT OBJECTION.

MR LASRY: Mr Cheney, you might as well stay where you are and I'll stay seated because we're going to go now to the Powerpoint definition.

A. Do you want briefly the definition of back-burning and burning --

15 Q. Indeed. You have referred to those in your report but by all means, a further explanation of those would be useful.

A. I added them there because they're two terms which are commonly confused and they have quite specific meanings to fire people, and so the difference between what fire people might say and what's published in the press can sometimes appear confusing.

25 Back-burning is a specific firefighting operation where if the fire is approaching with the wind behind it, and someone has set up a row or a barrier in front of the fire and they light a fire to try and enlarge the size of this break to stop the fire going across it, it's a dangerous fire suppression tactic because generally the rule of thumb that I advise students is that if you cannot control the head of the fire directly, you are not going to control the back-burn because what usually happens is you get some spotovers from back-burn and very often what you end up with is a much wider fire than you started off before you started the operation.

40 Q. Is the loss of control of a back-burn a relatively common experience for firefighters?

A. It's a difficult operation. It requires a very skilled person who knows exactly what his capabilities on the fire are and very often

it's applied as a last resort in the hope that they might be able to stop the fire and in this situation, if there's any substantial wind, it's a very low chance of success.

5

Q. Does the technique involve starting the burn at the barrier, in this case a road, or some distance to the west of it --

10 A. It's usually started here and if someone is game or perhaps foolhardy they might also walk in between the fires and light some additional spots again to increase the width. But the problem of it being a dangerous  
15 technique is very often there is no anchor point and so if there's an escalation of the fire and you have your trucks and people set up here and down here, there is no safe place for them to go.

20 Because of the blocking effect that I spoke of earlier, you really don't get much drawback of this fire back into the fire front because this fire has blocked the wind and, in any case, what wind there is is generally that this is  
25 burning back against it. So the effect that it primarily has, because you're adding more energy from in front of the fire, is really to accelerate this fire towards you, and so that's one of the reasons why it is more dangerous,  
30 that it can have a countereffect.

Burning out, on the other hand, is when you have your fire and it's a process with remote indirect or indirect firefighting and is very  
35 commonly used and you have your roads around it. This is the process where you are simply lighting fires around the perimeter in the event that you'll eventually burn out the whole of that area.

40

45 Firefighters often time the operation so they're taking advantage of wind which is blowing from the road towards the fire, so the wind over a period of days goes through an anticlockwise process. They will light up this

area first and then this area and later this  
area. So sometimes it's a process that can be  
timed with the change of wind. At other times  
5 you just have to get in and do it, even when  
the wind is blowing counterwise, but in which  
case you have to ensure that before the fire  
builds up and gets close to the bits you've  
burnt, you have to burn out these areas in  
between, and these days that's often done by  
10 placing aerial incendiaries in to burn out the  
fuels between the fire and the fire that you'd  
like to burn out from the controlled area.

Q. To apply that to the fires we're  
15 examining, was the burning out process in  
effect the tactic that was initially adopted in  
relation to McIntyre's fire?

A. That was the tactic that they tried. They  
established control lines around the fire and  
20 then progressively burnt out, and we'll see  
that as we go through the slides of the  
individual fires.

Q. Yes.

25 A. I mean, it applies at all levels. That  
section on safe fire attack, the aim is to get  
the area between the bit of fire line that you  
construct and the burnt area burnt out as soon  
as possible so that it can be secured and  
30 declared safe, and you won't get an  
acceleration of the fire in the intermediate  
fuels between the fire and the control line.

Something which does happen unfortunately is at  
35 high fire intensities and there may be a road  
here and someone might decide that, it's okay  
to burn out from this road and light a series  
of fires along here under extreme or very high  
fire danger conditions, with the inevitable  
40 result that this will take off and disappear  
down wind at the same speed but somewhat  
further away than the main fire, and we'll look  
at a couple of examples where that seems to  
have occurred.

45

Q. Should we save that?

A. Yes, please.

Q. We'll give that a number.

5

THE CORONER: Back-burning and burning out diagram will be [PC 0010].

10 <EXHIBIT [PC 0010] - DOCUMENT ADMITTED WITHOUT OBJECTION.

15 MR LASRY: Mr Cheney, the next step in the process I think is to proceed to the Powerpoint presentations. I should indicate to your  
20 Worship that there are two of these. My learned friends at this stage, I suspect, only have one, which is the longer one. Mr Cheney has recently compiled a shorter presentation which concentrates to some extent on the fire  
25 history in the ACT and in one particular case an example of a fire and its containment in an area close to where the Bendora fire in January of this year commenced. So I'll simply work my way through the historical presentation first  
and then we'll move to the presentation that our learned friends have.

30 I think the copies have either been made or are - no, they are being made so what we'll start with will be provided and Mr Cheney's evidence will take us into next week anyway, so my learned friends will have some time to consider it.

35 Before we actually go to the presentations, though, I want to ask you a couple of general questions about some of the information in those presentations. Apart from the  
40 photographs and things of that nature in those Powerpoint presentations, a lot of the slides involve in effect tracking the perimeter of the fire and the expansion of the fire perimeter over a period of days. As I understand that, that information comes principally from I think  
45 mainly New South Wales Rural Fire Service line

scans?

A. Yes.

5 Q. And line scans again, as I follow it, is something that is done by surveillance from an aircraft and recording in the form of thermal images in effect what the edge of the fire is at a given time; am I basically right about that?

10 A. That's correct.

15 Q. Could you just explain that in a bit more detail, with a new screen if you like, so that we can understand how the process actually works. If your voice gives out, Mr Cheney, and you could use a break, I'm sure her Worship --?

A. A couple of smokes, that would be great.

THE CORONER: Your lighter is out of gas!

20 A. The Rural Fire Service very kindly gave us access to all their line scan imagery, which made my task of reconstructing the fires a lot simpler. I used three types of material for interpretation. There was the line scan  
25 imagery, there was thermal imagery, thermal photoimagery, which was a compilation of a whole lot of thermal photographs of the fire, and an interpretation of the scorch pattern from aerial photographs which had been taken  
30 over the area.

The interpretation from aerial photographs was largely used when they had days when there was no line scan data and I needed to interpolate  
35 between the line scans and it made it easier for me to find those areas where around midnight the fire intensity was lowest and it showed up on the aerial photos as a relatively narrow band of unscorched canopy. It wasn't  
40 present in every case, but there was sufficient there for me to make an interpolation between other images.

45 We have an aircraft flying up here and it has an instrument with a rotating detector which

sends down a narrow beam that covers a small section of topography, but this is a rotating beam which makes a thermal image of a narrow strip of country, something like this. This  
5 might be five kilometres wide by perhaps 50 kilometres in width here.

As the aircraft flies along - and in this case it's flying down this way - these images are  
10 built up in what we call a raster. So there are a whole series of strips which are put together like that, and so between the start - and the fire is burning in this area down here and of course in some places the flames are  
15 high, in other places this is just hot ground. We get an image of the fire reproduced in these rasters where the edge is hottest and inside we have the ground which is burnt which is somewhat hotter than the surrounding - not very  
20 hot, but somewhat hotter or enough to be detected than the surrounding area. So we have a heat pattern as well.

The imagery picks up the temperature  
25 differences between different aspects of the topography, so as well as the fire picture, we also get an image which reflects north and south aspects. Creek lines are usually colder so they'll show up in the raster as a cooler  
30 area and western aspects are generally warmer and so if this is north up there and this is a westerly aspect, then that will show up a little bit warmer than the southern aspect. So we get a representation from that of the  
35 topography.

This data is taken and is called georeferenced because in building up this image, what happens  
40 is if this aircraft as it's flying along tilts backwards and forwards, then the beam coming down from it also may tilt that way at one stage or tilt the other way, which means that these rasters can be put out of place just by the tilting or if the aircraft wobbles side  
45 ways, we find that as we get a wobble, we might

have some rastars which are stuck out like that to one side.

5 Now, the georeferencing is done if there's instruments in the aircraft which relates its position in space or does some correction which is done on board. Another correction is taken back. So it has tried to be brought as close to a map scale as is possible.

10 In the interpretation we found that while the material was excellent for operational purposes for producing a precise positioning of the fire, we had to look at the imagery and look at  
15 known reference points on the data. The digital elevation model that we were using to reproduce the fire boundaries and in some cases the correction that had been made was not adequate enough to place it correctly on terms of the  
20 topography, and even where there is distortion like this, we find with this distortion, this creek here would then reproduce itself over here. You could see in fact that that was a distortion within the photograph. And so the  
25 fire, which is there, would continue on down here.

By looking at those, they were really minor corrections, but just to get a properly  
30 unambiguous map of the fire. I think from the raster data, we're probably as accurate to what would be the width of a pencil, which is probably plus or minus 20 metres or so.

35 The aerial photography, the accuracy is less because I was interpreting what was a green band which probably was formed somewhere between 10 o'clock at night and 6 o'clock in the morning while the fire intensity was very  
40 low, and I generally put the edge of the perimeter of the fire in the middle of that green band and said that that was 2400 hours or midnight.

45 MR LASRY: Thank you. I wonder if I could just

get you to write "Line Scan" on there and then we'll save that as well.

5 THE CORONER: That line scan diagram will be [PC 0011].

**<EXHIBIT [PC 0011] - DOCUMENT ADMITTED WITHOUT OBJECTION**

10 MR LASRY: I wonder if we could, your Worship, go to the first of the Powerpoint presentations and just by way of introduction, Mr Cheney, this is a presentation that you've put together quite recently, in the last few days, I think;  
15 is that right?

A. Yes, the maps in here I've taken from maps that were in evidence and the description of the Pago file, which is the last part of this presentation I reconstructed from notes that I  
20 had back in the office.

Q. All right. You don't get to sit down for very long. Would you like to go back to the screen and take us through the slides, please.

25 A. This is a map of some of the historic fires that we've seen in Canberra and I'll just point out these by the colours. The black, the very early fires in around about 1920, which were largely, I believe, drawn from newspaper  
30 reports at the time. The descriptions were very general. In fact, the fire was probably not mapped as we know it now, but was given a verbal description of the areas that were  
35 burnt. So it's difficult to know what the accuracy of the perimeter is. I suspect the next one underneath that, and working up from the bottom, is the cross-hatched area that was burnt in 1926.

40 Q. Just pausing there, if you could just point that out. That's under the purple. What area is --

A. Yes, can I touch this. The 1926 areas are here and it's this area sort of underneath here  
45 which is cross-hatched and it's sitting on the

same area as burnt in 1920 and in part some areas that were burnt in 1939.

5 I think that that was largely compiled by  
looking at areas of alpine ash that were  
generated in the area in 1926 and again I  
suspect there is very little mapped information  
of those areas and my general feeling is that  
10 in 1926 the fires were probably more extensive  
than is indicated on that map.

The pink area is coloured in, and it may not  
show up very clearly, your Worship, but there  
is a pink area underneath this darker area --  
15

THE CORONER: That's visible.

A. Which was the area burnt by the 1939  
fires. The upper boundary of this fire I'm  
pretty sure hasn't been mapped out to its full  
20 extent to the north-west because the accounts  
that I've read is that the fire came from north  
of Wee Jasper and burnt into this area, which  
is called Mountain Creek, and finally burnt out  
and stopped through the pine plantations in  
25 Uriarra and stopped when it came out to the  
grassland and the Murrumbidgee River, which is  
probably down following this perimeter down  
here.

30 That was a similar drought situation, except  
that the fire control people had the benefit of  
rabbits and those pastures were really  
completely eaten out and almost bare, and so  
there was very little burning in grassland  
35 areas of the ACT, although spot fires reported  
to have originated from somewhere back here  
landed in Civic centre, which I guess is  
somewhere here, and also on Capital Hill, which  
is somewhere there, plus other spots which were  
40 in the grassland in the vicinity of Mount  
Stromlo. So I think we have materials that  
were collected in Canberra somewhere deep in my  
basement of bark and leaf material that was  
brought in in 1979 with that long-distance  
45 spotting.

I'll talk about this one on the next line, but I won't go to it yet, John. The other major fires - the Gudgenby fire was in 1985. I  
5 wasn't present because I was trying to light fires in Western Australia at the time and it rained on me - and was serious with Ash Wednesday. This of course occurred earlier than Ash Wednesday, as did most of the fires in  
10 East Gippsland and the South Coast of NSW, mostly in January 1983. Still pretty severe fire conditions at that time. Ash Wednesday was 16 February 1983.

15 Up here we have the Hall fire. Sorry, I'll go back to these fires in 1952, which are coloured in yellow. They started on two different dates. These two fires here started in January and the photos and notes that I have suggest  
20 that they were started from power line failure and in one case a bird's nest that had been built on a transmission line and the bird arced between the lines and dropped to the ground burning and started the fire.

25 The extent of the fire has been truncated at the ACT border and again the reports suggest that it continued to burn past Queanbeyan into the Tindery Ranges, which could extend that  
30 fire somewhere down into this area quite possibly, but we have no mapped information about that fire - just a description that it burnt into the Tindery Ranges.

35 The Stromlo fire occurred from lightning in February, a separate fire, but which was smaller and burnt through the grassland up over Mount Stromlo and didn't go much further than Narrabundah Hill and the present location of  
40 Duffy, which at that stage was open farmland. Again, it was controlled once it came out of the forest and into the grassland.

45 I don't know the condition of the grass but I think it was pretty good because these fires

that were a week or two earlier, one started in the vicinity of the Mint, the Mint's present position, and burnt over Red Hill and skirted around the northern sides of Red Hill and then  
5 took over across the grasslands into the forest. This other one started a little further west along the Cotter Road, in about the vicinity of Curtin.

10 The Hall fire up here burnt this cross-hatched area. It started from a power line shorting and an expulsion drop-out fuse exploding. These are safety fuses within the power line set-up. When it went off, it produced a great  
15 shower of burning metal as part of the fuse and the effects of the drop-out fuse started the fire.

20 Mount Majura fire, I think - or maybe this fire at Hindmarsh Drive, one or the other - also was started from an expulsion drop-out fuse, and I'm not quite clear on which one it was at the moment. Electrical power line failures have  
25 always been a source of fires particularly in Victoria and New South Wales in the mid to late '70s and they became a cause at about the time 15 years or so after they had been put through rural areas and time for trees in areas that  
30 weren't patrolled to grow up and grow into the power line and under extreme conditions of high temperature, the power line would sag down into the tree and then cause a short-out and spark down at ground level.

35 Some of these fires were also caused by arson. I think this one started off Mugga Lane was arson and certainly these fires down the Tharwa Road, which was a series of five fires which  
40 were deliberately lit on the eastern side of the Tharwa Road and between what's now Gordon and Banks and those suburbs before they had been built, and started deliberately on a day of extreme fire danger, which was worrying  
45 because a lot of our arson fires are not started under extreme weather, but more by

disturbed people, often late at night, because they just want to watch a fire.

5 These were a series that any one of them would have beaten initial attack, and so that's a real problem that the authorities have to meet with.

10 The black area in the centre is a fire at Coppins Crossing, which I've done a little better diagram, also started from two fires which started from arson, deliberately lit roadside fires.

15 Could I have the next one? I'll keep my pen active, if I may. I want you to look at this one because it illustrates the difficulty that we have in making an interpretation about  
20 historical fires. This fire started somewhere down in the Brindabella Valley, made a run up to the Mount Franklin Range and then burnt with the westerly wind in a very similar way across the ACT in what was described in the notes by the late Professor Lindsay Pryor as a series of  
25 hops from one point, and eventually out at Royalla, which wasn't marked on that map.

30 The interesting part about this fire is the shape of it. This shape can only be created because the area in here and here and probably here have been burnt one or two years before. I'm sure Lindsay Pryor had an extremely accurate map of this because that was the nature of the man, and there are notes that I  
35 think it was a Mr McCann went through and did some excellent spring burning in the Cotter Valley and the Tidbinbilla Range. Had that burning not been done, the shape of that fire would have been more like that. As you will  
40 see, it's more or less the shape of the fires which were burnt under extreme weather.

45 So just because this was a small or a relatively small fire, the shape of that fire and many fires in the high country up to 1939

and before were constrained by the degree of burning by graziers and other people in the intervening period.

5 These were a series of fires, and I've included them because they relate to McArthur's calibration of the drought index, but also to indicate that one of the problems about fire awareness is that if a fire doesn't burn  
10 through your area simply by chance, there becomes perhaps a complacency in people and a thought that it doesn't happen.

15 Some of these fires started a little earlier than 3 to 13 March. Certainly these two down in Gippsland had started at a couple of locations, probably here and here.

MR LASRY: This is 1965 I think.

20 A. Yes, this is 3 to 13 March 1965.

THE CORONER: And what is the area, Mr Cheney?

A. The area extends from Melbourne in the bottom left-hand corner up to close to Jervis Bay up in the top right-hand side. It covers  
25 the mountain country from Jervis Bay through down to about probably Bairnsdale and Sale here in Victoria. I was present on a couple of these fires. I had been working on this one in  
30 February and it made its run on 3 March and I plotted that. I then returned back to Canberra and immediately was sent out to this fire, which was the Tumut River fire, which burnt from the Tumut River Valley across to lake  
35 Eucumbene, between Luke Eucumbene and Tantatgara dam.

The next series of fires which started on 3 March up here and burnt a small area on the  
40 first night and another one here, they made their major runs on 6 March and went from Taralga, which is north of Goulburn, almost out to the coastline I think somewhere near Tomerong. They have basically one day spread  
45 distances of between 30 and 40 kilometres.

MR LASRY: Before you leave that slide, the prevailing weather conditions and drought conditions, or lack of it at that stage, or what was the antecedent weather leading to those fires.

5  
10  
15  
20  
25  
30  
A. By 3 March, when most of these fires were occurring, the drought index was in excess of 100 and the weather conditions were probably extreme and a Fire Danger Index of 70 to 80. This is just a representation of the reconstruction of the Tumut River fire. It had similarities to the fire problems that authorities were faced with this season. It started in the Tumutrivine, a point somewhere there, under very high fire danger conditions, made a brief run-down to the south and then a run up there towards the east. They had three days in which to try and contain it before there was an extreme weather forecast and they had set out to establish control lines along here and along these roads back up on to the highway, which is probably back up here, and they were unable to complete that within the three days that they had. They managed to hold some of this area along here from breaking away, but the initial breakaway occurred down in the rivine and it broke away here and then made a run up an area called rivine, which is to the north of Cabrumurra and Yarangobilly Caves I think is somewhere in here.

35  
Kiandra is here, and under those conditions it made a very strong run across the Kiandra Plains from Tumut River to Eucumbene Dam, which is here, and Tangtanger Dam which is there.

40  
45  
That is the Tumut River fire on the first day and simply to illustrate that three hours after ignition under high fire danger simply because of its location it rapidly developed into a big fire - no hope of direct attack or no hope of really initial attack on that fire and they immediately had to go back to an indirect form of attack.

Q. Can you see the original ignition area on that photograph?

5 A. I suspect it's somewhere up in a creek that came off the Tumut River somewhere in that area there, alleged to be a fisherman's fire, but I don't know whether that was ever proven.

10 With the switch to the west, northerly wind, a switch to the west, it has already started to throw spot fires outside the general condition. Interestingly, the wind in the valley is from the north and yet the wind up in the ridge is reflecting the prevailing westerly wind, which  
15 is blowing this spot fire towards the east. At the same time this one obscured by the smoke - there are more spot fires spreading towards the east.

20 This is really to illustrate the area burnt in 2001 through the Stromlo pine plantation, mostly north of Uriarra Road and the Cotter Road. Importantly, though, it was started by arson at this point and another fire by arson  
25 at Huntley and without foreseeing the Coroners report on this, I believe this started from a spot fire from the Huntley fire there.

30 Two days spread and the fact that this area of pine plantation had been burnt prior to this year's fires had a pretty big impact on the carriage of the fire northwards through Black Mountain and certainly impacts that might have been around Government House and Yarralumla.

35

Q. In the absence of that fire in 2001, is it able to be estimated what the prospects were of this year's fires burning into Black Mountain? I presume that would have been even more  
40 disastrous --

A. My guess is almost certainly on to Black Mountain but probably not much further than Aranda to the north, but if it had burnt on to Black Mountain when the winds shifted from  
45 north-west to westerly, that would have had a

similar impact on O'Connor, as it did on Duffy. It may have been a bit less because it would have been an hour or so later in the day, but I suspect not much.

5

Certainly there's enough fuel in the surrounds of the golf course and Government House and the sort of park areas that would have caused a bit of a stir in that area as well.

10

Q. This is a separate part of the presentation in relation to a particular fire in 1972.

15

A. Yes, I wanted to include this fire because in some respects it reflects some operational and cultural changes that have happened in the last 30 years. This was a fire that in my term with the CSIRO - actually before we were formally within CSIRO, but still doing fire research, attended as part of the ACT's firefighting force. The fire started in a similar location to the Bendora fire. It started off Walks Road at this point. It was on a south-easterly aspect and it started in a forest with 1926 alpine ash and it burnt under I think somewhat more severe conditions, but at that stage the ACT Forests were responsible, the fire was under the direction of Tony Fernside who was the Chief Fire Control Officer at that time.

20

25

30

Q. Just to make it clear for anyone who hasn't seen this before, what we're looking at is one of the slides from your mapping of the perimeter of the Bendora fire, which is shown in red. Is that right? And then you've superimposed on that the ignition point for this Pago fire back in 1972?

35

40

A. That's correct. That's the line scan image of the Bendora fire at a bit after half past 6 in the afternoon. The arrows indicate the point of origin of the Bendora fire and the point of origin of the Pago fire. The pink gives the ACT/New South Wales border. This location is Bulls Head and the Brindabella

45

Valley, Bendora Dam, the Cotter River flowing down there.

Q. Thank you.

5 A. The weather conditions at Canberra Airport  
- and I use Canberra Airport because of a  
comparison with the weather that we had in  
2003, the 15,000 hours, very similar weather  
10 conditions to 8 January. 35 degrees Celsius,  
15% humidity, with a wind speed of 32  
kilometres an hour, which gave us a forest Fire  
Danger Index just going into the extreme range,  
with a drought index of 103. I think it was  
15 104 on 8 January. This was one of those  
seasons when there was a very steep rise in the  
drought index, and this is happening on 21  
January, just as I was getting ready to get  
stuck into the grog at the divisional Christmas  
party.

20 At about 1500 hours, the ignition went. We  
think it was a deliberate or accidental  
roadside ignition.

25 The next two days were followed by two days of  
very high to extreme fire danger. On the 22nd  
and, for most of the day, or the afternoon, we  
had a forest Fire Danger Index of 30, but a  
small frontal system went through with mean  
30 wind speeds of 64 kilometres an hour, which for  
about a period of an hour lifted the forest  
fire danger to 65 extreme and on the 23rd we  
had not so low humidities but really quite  
strong winds and a forest Fire Danger Index of  
35 49, which is just on the point of very high to  
extreme.

Those later days were important because the  
potential for this fire was there to burn into  
40 Canberra if it wasn't brought under control.

Q. Just going back to those - if we could  
just go back a step. You'd already mentioned  
this to an extent, but although it's the third  
45 week of December 1972, conditions compared with

the conditions prevailing on, say, 8, 9 and 10 January of this year, particularly as they apply to the Bendora fire, what would you say about that comparison?

5 A. It was a steep sharp rise, sort of a hot spring and a short intense drying period. I don't think the real levels of drought were as bad as on this fire as they were in this year, although the index is about the same in  
10 Canberra, and in the mountains I think the index that we calculated for Bulls Head, when we had instruments there, was probably around 75, so it was down a little bit in terms. We still had quite active overnight fire behaviour  
15 associated with this, which meant that our calculated figure at Bulls Head was 75, but it was reflecting the sort of conditions that McArthur had recorded of 103.

20 Detected at 1507, probably started a little before 1500 hours, probably accidental. A roadside fire, so either accidental or deliberate. Initial attack was a light unit came in at 1500 hours, tried direct attack with  
25 water and failed pretty much immediately. Perhaps that was because it was run by a research group! It was then brought in by bulldozers and support tankers at 1800 hours. They used a containment - a sort of variety of  
30 suppression actions. Direct attack with bulldozers on the western and eastern flanks, some burning out from roads and firelines, mostly after midnight when the actual positions of the fire was known and some lines had been  
35 constructed. I think importantly it was contained by 0900 hours and then patrolled for the following three weeks, and we'll see some of the problems on the map that I have later.

40 The next one, please, John. This was the intensity of the fire somewhere around 1700 to 1800 hours. I've said approximately 1800 hours and I think on reflection, even though I took the photo, I think it was probably more like  
45 1700 hours. The fire was coming up the ridge

and when it got up to the top of the ridge where I am here on the Pago break, it would be exposed to the full force of the wind and developing into the crown fire. I think the  
5 next one is a similar photo with the flames temporarily going and we always take these photos when the flames are highest and burning out the crown.

10 General flame height, though, was in the intermediate trees and it was pretty severe, and certainly beyond any capacity for direct attack.

15 The photograph you've just seen - those photographs were taken off what we call the Pago break at somewhere around this point here. What had happened was the fire which had  
20 started here burnt under prevailing west south westerly wind, which was the general line, but the curved nature of the topography meant that there was an Eddy wind that drove the fire from the road up slope towards the ridge. When the  
25 fire came out into the full strength of the wind at the top of this break, then it started throwing spot fires down wind and these extended the fire in a north-easterly direction, with each spot fire repeating this run upslope and then respotting again.

30 The bulldozers, when they arrived, probably somewhere around between 1800 and 2000 hours, set about to confine the edge of the fire by almost pretty close attack there, which then  
35 stretched out at night and they brought the trail down to here - the Bulls Head/Bendora Dam Road and a little cut off by bulldozer trail through there to the direct edge of the fire, in that position. The bulldozer trail was  
40 pushed down to about this point here, where it became too steep for bulldozer operation, and that generally occurs when the slope is greater than 25 to 30 degrees, and this area along the bottom, although it was in lighter, very steep  
45 fuels, was contained by hand tool lines along

that area, and the mopping up effort over the next couple of days in particular focused on controlling that part of the fire with men being there with hand tools and picking up spot fires as they occurred.

We attempted rudimentary efforts at water bombing from fixed-wing aircraft which were cobbled together on the spot the next day, and trying to fill the agricultural hopper with flowers and stones to seal it was not a particularly successful venture, but they officially did so some water bombing on this fire.

Q. Before you leave that slide, to the north of the northern edge of that fire, the map records prescribed burn, I think, in February 1962. That's some 10 years earlier. Does that have any influence on the ability to control or contain that fire?

A. I believe it did, primarily by removing some of the large stags that had formed after the previous fires through the area, which - most of this down here is 1926 regenerations, and so I suspect that area was last burnt in 1926, and certainly it had fire-killed trees in it, of which the prescribed burn in 1962 would have reduced the numbers of those. And 10 years after the burn - and our recent research is saying there is still some effect that that would possibly reduce the intensity by 15 to 20% compared to a 25-year-old fuel. Certainly I believe it made suppression easier in this area where the burn had been carried out.

Just to illustrate that, 23 December, two days later, was a serious day. There was a fire at Burrinjuck, to the north of Burrinjuck Dam, which put up a convection column which was similar to what we saw on 18 January over Canberra, a very severe forest fire through that hill reserve just to the north of Burrinjuck Dam between the dam and Yass.

So in summary, this was a fire that started in alpine ash forests. The fuels were up to 40 tonnes per hectare and I didn't really make it clear, usually we are referring when we talk about 40 tonnes per hectare, this is fire fuel less than six millimetres in diameter. In that area, the total fuel load which we measured at another time was in the order of about 100 tonnes per hectare, of which generally the fine fuels compose about a quarter or 25 tonnes. The rest is in larger fuels which either don't burn completely or they burn well after the fire front has past. So we don't take them into consideration in calculations of fire spread, but they must come into considerations of suppression difficulty.

Controlled overnight by combined attack with bulldozers, tankers, hand tool attack and burning out and held for periods of very high to extreme fire danger.

I'd just like to add that the direction of the fire attack was held by two very competent forestry foremen. One was Morris Franklin and the other was Billy Bates, who is probably listening next door, and really their knowledge of the country and knowledge of tracts and access and what could be done with bulldozers was fairly critical in the crews being able to bring that under control. And they had a very experienced bulldozer operator, who was on the job and really didn't need instruction about how to build line around fires.

MR LASRY: Thank you, Mr Cheney. Is that a convenient time to rest Mr Cheney's voice.

THE CORONER: Yes. We'll adjourn until tomorrow morning. The court is adjourned until tomorrow.

MR LASRY: I think there has been some unofficial discussion, but I think it's your Worship's intention to adjourn at 1 o'clock

tomorrow for the day. Am I right about that?

THE CORONER: To adjourn about --

5 MR LASRY: At 1 o'clock tomorrow for the day.

THE CORONER: Yes, if that's convenient to the parties, we'll adjourn tomorrow at 1pm.

10 **MATTER ADJOURNED AT 4.00PM UNTIL FRIDAY, 10  
OCTOBER, 2003.**

15

20

25

30

35

40

45

TRANSCRIPT OF PROCEEDINGS

5 CORONER'S COURT OF THE  
AUSTRALIAN CAPITAL TERRITORY

MRS M. DOOGAN, CORONER

10 CF No 154 of 2003

INQUEST AND INQUIRY

INTO

15 THE DEATHS OF DOROTHY MCGRATH,  
ALLISON MARY TENNER,  
PETER BROOKE, AND DOUGLAS JOHN FRASER,  
AND THE FIRES OF JANUARY 2003

20 CANBERRA

DAY 4

25 10.03AM, FRIDAY, 10 OCTOBER 2003

[10.00am]

5 MR LASRY: Before we start, a couple of matters.  
Apparently I've thrown the system into chaos by  
revising the numbering system which your  
Worship has followed in relation to Mr Cheney's  
drawings. At the moment those exhibits stand  
as exhibits [PC 0001] through to [PC 0011]. In  
10 order for the system to function effectively,  
it's desired that those exhibits be renumbered  
from 2 through to 12 so that the first document  
that was tendered, your Worship will recall,  
was the weather bureau prognosis from October  
2002 I think. It was exhibit 1. So exhibit  
15 [PC 0001] Should now become exhibit 2 and  
subsequently through to exhibit 12.

20 THE CORONER: I think that has been done, so  
thank you for that.

25 MR LASRY: Yes. Your Worship, the other thing  
is that in relation to the part of the hearings  
that will deal with the four deaths, it's been  
the concern of everybody connected with those  
to ensure that there's some certainty as to  
when that evidence will be called, particularly  
for the benefit of the families of each of the  
four people. What we propose at the moment is  
to more or less come what may present that  
30 evidence at 10 o'clock on Thursday morning. If  
we finish other evidence before then, then it  
may be that I would be asking your Worship to  
stand the matter down until Thursday and if we  
haven't, we would be asking your Worship to  
35 stop whatever we're doing on Wednesday  
afternoon and deal with those matters in one  
process as it were on Thursday. That evidence,  
as your Worship realises, is essentially the  
evidence of each of the investigating police  
40 officers and the evidence of the pathologist,  
so it might take all of Thursday and a bit of  
Friday. It might not take that long, but we're  
anxious to give some certainty as to the time,  
if that's convenient to you.

45 .CF154/2003 10.10.03 P-320  
(c) WordWave Int'l

THE CORONER: Yes, that's suitable, thank you.

MR LASRY: I'll recall Mr Cheney, if your  
Worship pleases.

5

<MR NOEL PHILLIP CHENEY, RESWORN

<EXAMINATION-IN-CHIEF BY MR LASRY CONTINUING

10

MR LASRY: Mr Cheney, perhaps don't get too  
comfortable. I'll just ask you some  
preliminary questions about the process we're  
about to embark on and then we'll embark on it.  
What we're about to deal with is the Powerpoint  
15 presentation which has been distributed to the  
parties in relation to basically the  
development and spread of the fires along with  
comments by you more or less on a step-by-step  
basis. Perhaps what I'll ask you to do, if the  
20 Powerpoint presentation is ready, is to go to  
the screen and start.

25

I think in the earlier part of it, there are  
some slides which we've already seen in  
relation to antecedent weather and some of the  
information that you already referred to and  
the Bureau of Meteorology have referred to, so  
we can probably skip over those. If you could  
just take us through those slides and I'll ask  
30 you some questions based on what's in the  
written report as we go through. If the  
witness may leave the witness box and from here  
on I'll remain seated so that everybody can see  
the screen.

35

A. Just a summary of what I wanted to go to -  
the antecedent weather has been covered,  
although I will be running through the sequence  
of the days using satellite photos to show how  
the weather conditions after the 8th affected  
40 the fires in a more general sense.

40

The fire ignitions, I wish to just illustrate  
the ignitions that were around on 8 January. I  
won't be going into any detail on the  
45 determination of these conditions.

45

Then the fire danger from the 8 to 18 January  
and an illustration of how - I just want to go  
over a couple of points on that, although it  
has been covered, if that's all right. And  
5 then the fire histories of McIntyre, Bendora  
and the Stockyard fire.

10 So I think if we could go through to probably  
slide 9. I think one point that should be made  
is that one of the effects of such a severe  
drought is that the grasslands in early January  
were largely eaten out around much of the ACT  
and New South Wales, and that did have a  
15 considerable impact on slowing down the fire  
spread when it came out of the forest. Some  
people were caught in the run-through towards  
Duffy and may not have appreciated that.

20 But elsewhere in New South Wales, the fires  
largely came out of the forest and stopped on  
the eaten-out grasslands and it is a fairly  
common event that when we have a bad forest  
fire season, we usually have an easier grass  
fire season because the grasslands have been  
25 eaten out.

The fact that our forests are largely burnt  
don't give the Rural Fire Service and ESB any  
relief this coming season because there could  
30 well be abundant grasslands and severe grass  
fires that they have to deal with.

The next slide is the diurnal trace of  
temperature, and I am allowed to touch that,  
35 John? We talked about how the fire danger  
relates very closely to the combination of  
temperature and relative humidity, which you  
can see in this graph are opposing cyclic  
patterns reflecting the diurnal cycle. But in  
40 just very rough terms, if we look at the  
minimum and maximum relative humidities, we can  
get some impression of those days and nights  
that were giving some difficulty to  
firefighters, and certainly the first day, on  
45

the 8th, and the first night, the relative humidity here was in the relatively high ridge, which indicated that the fires would probably be burning relatively brightly overnight.

5

The humidities rose. The minimum humidities rose during the week and then started to fall again. A couple of nights on the 12th and 13th we had some low overnight humidities, with again a little more active fire behaviour during the night, and then finally, which we'll deal with in a little more detail, 48, a very high overnight humidity compared to what preceded it before.

10

15

Now to the next one. The overnight humidities are reflected in the fire danger at night. You can see here, the evening of the 8th and the 9th, the fire danger didn't drop close to zero as it did in some of the other nights. 12th and 13th a little bit higher and on the 18th quite a high overnight humidity.

20

25

Typical of the fire dangers, we had - 50 is the extreme range, approaching 50 on the first day, and then generally in the moderate to high range for the next five or six days.

30

The next slide, please. I think it will be established that the ignitions were largely due to lightning and severe thunderstorms passing through the region on 8 January. There were multiple ignitions which extended from Mt Buffalo in Victoria to Captains Flat in New South Wales. I might just add that these were not the only fires that the authorities in New South Wales and ACT had to deal with. Also, during the period where I'm discussing the fires, there were other fire outbreaks that Emergency Services Bureau and Rural Fire Service had to deal with along with the fires that we are discussing here.

35

40

45

MR LASRY: So in some of the other material I think and in the material provided by Kattron,

it indicates, doesn't it, that there were a large number of lightning strikes right through south-east Australia, a very large number.

A. Yes, that's right.

5

Q. Many of which started fires to a greater or lesser extent?

A. Yes, I'll illustrate that shortly. But what we haven't discussed, which may come up in phase 2, is the fires that broke out while attending these fires, which is something that they have to be aware of and we have to be aware of.

10

15

The next slide - this is the weather pattern for 7 January. It may or may not have been in the bureau's presentation. I put it in because it reflects close to what we understand as what's going to be a bad fire situation in south-eastern Australia. We have a blocking high sitting out in the Tasman and if that sits there and these cold front pressure systems move up to it, then that tightens the isobars and increases the strength of the wind, which is - I've got the pen here - sort of coming around these isobars like so, and so we have a northerly wind generated from these pressure patterns.

20

25

30

Whether or not we get a bad season in south-east Australia depends on the latitude that these high pressure systems are running for the summer. If the general pattern of the centres of these high pressure systems is further south, at a latitude further south, then New South Wales comes under the influence of the top of the high pressure system, which is largely easterly weather being blown in from the coast, and that gives us a mild season and usually means that Tasmania gets a nasty season down there.

35

40

Before the advent of satellites and when we were just using the bureau's skill from pressure observations, which by and large they

45

still do, the firefighters had a rule of thumb that these sort of frontal systems passed roughly every seven days. So if we had an outbreak of fires, then we were likely to have a period of somewhere between four and eight days where we might expect some mild weather as the southerlies and easterly winds passed over before we had the next extreme weather. Any indirect firefighting technique had to always bear that in mind, that again rule of thumb you'd say in seven days we're going to be in strife again and we will have bad weather.

That pattern fairly well reproduced itself during these fires, with a small exception that we'll discuss.

The next slide, please. This is a squall line crossing the ACT about 1.50 on 8 January. A nasty little bit of weather from a firefighting point of view associated with strong gusty winds in the squall line. The photo was taken somewhere in the south of the ACT, looking towards the north-west.

MR LASRY: Is that a photograph you took or someone else.

A. No, that was a photograph taken by Geoffrey Cutting, who was a photographer taking photographs around at that time. This is a satellite image on which the lightning strike data has been superimposed over the passage of the frontal system travelling across Victoria and into New South Wales. The yellow dots are detected lightning discharges. Now, not all of those would have reached the ground, but a lot of them certainly did. It's an extraordinary ignition potential that passed over the mountain country and New South Wales.

There was a little bit of rain associated with the passage of this frontal system and that may have extinguished some of the lightning strikes or it may have just quelled them and presented the firefighters with what we call sleepers,

which are fires that are ignited but don't show up and don't give smoke until conditions dry out. It's this one condition where often the surface fuels are moist from light showers of rain, but because of the drought, those fuels underneath are still dry and the fire can smoulder under there without giving detectable smoke.

5

10 THE CORONER: Mr Cheney, this happened on 8 January?

A. This is a compilation of 8 January, your Worship.

15 This is Mount Buffalo in about this area here, the Hume Weir, Lake Eucumbene, Lake Jindabyne, Kosciuszko area here and the ACT of course. The red circles are showing fires which were detected by the Modus satellite system, and  
20 Modus is one of the satellites used by NASA in one of its Worldwatch programs where they have a number of climatological features detected, and fires are one of them. Earthquakes, floods, wind storms are others that come up on the  
25 satellite. So when the Modus satellite went over and took this photograph, a number of fires were showing up as red circles.

30 In the ACT we have the McIntyre's fire, which is illustrated by the dash with the lightning strike, the yellow dot, plus the fire that had already been detected.

35 We have essentially the Bendora, Stockyard and Gingera fires represented by these lightning dots here, but they were certainly alight at the time the satellite went across, but they were not giving out enough heat for the satellite to detect that they were actually  
40 burning. The lightning activity extended a little ways to the east of Captains Flat and a bit towards between Captains Flat and Braidwood and then that was about the extent of the storm passage.

45

By 10 January, these were the active fires  
across the mountain country and again - is that  
vibration on the screen worrying everybody or  
can we stop it? No, okay. These are now fires  
5 which are active and that you can see. The  
fire agencies both in Victoria, New South Wales  
and ACT had a significant problem with them.  
Another fire out there just to the south of  
Captains Flat, which is of considerable  
10 interest to me personally. A lot of these were  
picked up on the Modus system and the Sentinel  
system at CSIRO which provides these on a  
1:250,000 map. That has helped people like  
myself, farmers and rural people, to know where  
15 fires are much earlier than perhaps we would  
otherwise. On the other hand it has a  
disadvantage. It still doesn't replace the  
conventional detection systems that we used  
with fire towers and aerial patrols because you  
20 can see from the other one, the satellite takes  
some time to recognise enough fire to register  
on the satellite detectors. When the front has  
passed through, the wind is now generally from  
the south.

25 I think if we take the next screen, by 12  
January, the wind has moved now around from the  
south to the south-east and east/south-east up  
in Canberra. Again, a little different scale.  
30 We have Melbourne here, Omeo, Lake Eucumbene  
and Canberra is up under the cloud up here. So  
the fires that we're concerned with are shown  
up as these fires here, McIntyre's Bendora and  
the Stockyard, Gingera fires in that area  
35 there. The fire out to the west which we only  
deal briefly with is the Broken Cart fire,  
which is just there.

40 This is the next slide, and down here we have  
three new fires that have popped up in  
Victoria, which we believe were sleepers which  
weren't detected in the morning satellite. So  
again this is another problem that firefighters  
45 have when these lightning strikes pass across,  
that not all the potential fires will show up

immediately, either by conventional detection systems or by this satellite imagery.

5 The winds on the 12th at 1500 hours have strengthened somewhat, particularly south of the ACT and Kosciuszko region, but they also strengthen here and we'll see it causes problems on the Bendora fire and the actions that they were taking at that time to try to  
10 keep it under control.

The next one, please. By 13th January, the winds have now switched around to the north-east in the ACT, and as you can imagine,  
15 the pressure system is swinging around in the line of the smoke a little more northerly down in Victoria. In this period is when firefighters are using indirect attack. As I mentioned yesterday, they may take advantage of  
20 this regular change in wind direction from the south around through the east to the north to assist them with burning out in indirect attack.

25 The next one, please. Now, seven days later, virtually on schedule, the next frontal system was charging up a high pressure out in the Tasman and another front pushing up underneath it. But this frontal system was running lower,  
30 at a lower latitude here, than the one before. So we have quite broad isobars across our area which meant that we didn't get the normal strong winds. The winds were relatively light. They had gone around to the north and the  
35 north-west, but because there was a weak pressure gradient across our area, we weren't getting strong winds penetrating over the fire areas.

40 If this system had stayed at the latitude that the previous systems were running at, then we could have got on cue another very bad on 14 January, which fortunately didn't happen.

45 MR LASRY: That lack of pressure, I take it, has

an effect on wind and temperature as well, so the winds are gradual and the temperatures remain lower; is that right.

5 A. I'll say the winds remain lighter. The further temperature questions I'll save for my colleague to deal with.

10 By 16 January we have the next pressure system which has moved around. The winds are now sort of around moving into the north-west and still haven't picked up a great deal. Just looking at the situation on the ground, it is reflected by the smoke. Under these conditions, the Modus satellite is again only picking up those  
15 areas of fire which are intense enough to record on the satellite detectors. So we have spots of fire, but that is not necessarily the entire burning area that the firefighters are dealing with.

20 On 17th January, another cold front embedded in the high pressure system that separated things. We got the frontal system moving in and the  
25 temperature rose and the humidity fell and as is a common feature when we are starting to get a weather system that is going to give us a bad day the next day, it's very often preceded by this low of overnight relative humidity. The  
30 winds often also don't die away at night, at low levels, and we can get low fuel moistures through the night and some active fire spread, quite active fire spread, during the night.

35 This is the pattern of temperature here and the pink one is relative humidity. On the 17th we had humidities less than 10%, which is a severely dry condition, and ignition of  
40 extremely small particles and fire brands are capable of lighting new spot fires under those conditions, and during the night the humidity rose and at 3 o'clock in the morning at Canberra Airport we had a sudden rise in  
45 temperature, an immediate reflected drop in relative humidity, and out in the field that was associated with some strong gusts of

north-westerly winds, which created problems for firefighters who were undergoing homestead protection, particularly in the south of the ACT. Then we have as the winds pick up after 6 o'clock and this dry air mass is reflected, the temperature rises rapidly and the humidity is falling away, again to - sorry, less than 10%. I was looking at the wrong scale. This was less than 20%. But what I said about the humidity, that's still apparent. The critical point for low humidity is about 25% - once it drops below 25%. The fuel moisture which follows the same graph as the humidity graph is at a point where these small ignitions of capable of lighting fires.

Certainly when it drops to around 5%, tiny particles are capable of setting ignitions in new fuels and so while in places the fire spread went across grasslands that were almost bare, the wind blown sparks associated with the high winds ignited almost any fuels that were capable of burning and this is an unusual feature that very few people see in their lifetime.

The next one, thanks. 17 January 11.15, we have our fires here, which are still showing the north-westerly wind, but they really haven't developed strongly. There was some cloud, and overnight on the 17th there was a little bit of sprinkle of rain in some of the fire areas, I believe, around the Stockyard area and Bendora, which hampered the burning out operations during the night, but certainly not enough to quell the fire.

I think the next one is a little later in the day. At 1525 hours, 3.25, in the afternoon, we are starting to get some activity in all these fires and about this time, you can see it's almost due westerly, blowing across there. I believe at about this time the Stockyard fire had spotted across the Corin Dam and was starting to make a major run towards Mount

Tennent under quite strong westerly winds.

5 So we're coming up to 18 January, again the  
bureau has described what I would call as a  
classic bad weather synoptic weather pattern,  
with the blocking high pressure system in the  
Tasman and the approaching cold front in the  
great Australian Bight.

10 The next one, thanks. Again, an illustration  
of that, very similar to the system that was  
passed on 7 January. Again, high pressure in  
almost exactly the same position, with the  
15 north-westerly winds forming and this was  
complicated by a small low pressure cell that  
embedded itself in the frontal passage here,  
which presents a problem to bureau forecasters  
because very often these low pressure cells  
20 develop inside their observing network and they  
don't always get advanced notice of this cell  
forming, although they did an excellent job on  
this occasion, I believe, and this can cause  
much stronger local winds, or winds in a  
25 general area, than would be generally  
considered by the general spacing of the  
isobars in that synoptic situation.

The wind velocity trace - and to people like  
30 myself who want to be accurate about all  
things, velocity is something that requires  
speed and direction to be sighted. Mostly we  
just talk about wind speed and not necessarily  
direction it comes from.

35 Interesting feature at Canberra Airport:  
throughout most of the day, the wind was almost  
fairly steady at 3:15, north-west right  
throughout the day, with some variation, as is  
40 always the case either side. Wind directions  
elsewhere in the ACT were different to that.  
Some were affected by the fire. It's difficult  
to tell whether or not this wind record was  
affected by the fire itself at Canberra  
45 Airport.

Certainly between 1500 and 1600, we had a spike  
in the wind speeds, which may well have been  
associated with the outflows that Clem and Rob  
mentioned in their presentation, but pretty  
5 characteristic wind speed pattern of an extreme  
day, with quite large extremes in the gusts and  
lulls, with gusts here approaching 70  
kilometres per hour and not long after it, you  
have a lull which is less than 20 kilometres  
10 per hour there.

So a feature of this weather is that it is very  
difficult for firefighters in the field when  
they're exposed to this variation both of wind  
15 speed and wind direction to tell just where the  
wind is coming from and they are very reliant  
on the forecasts from the bureau who can give  
them advice about what the general pattern of  
wind will be, ignoring the local wind  
20 observations and the overall direction and  
spread that the fire would travel.

Because of the low overnight humidity, we had  
the fire danger running into the very high a  
25 little after 8 o'clock. That actually meant  
that by 8.30 in the morning of 18 January, they  
were getting similar conditions to the day at  
around about 3 o'clock in the afternoon on the  
8th when the fires broke out. So immediately  
30 they were faced with difficult conditions and  
it was virtually impossible to do much useful  
control action when the fire goes into the very  
high range. By 1300, with the increase in wind  
speed and the drop in the humidity, it has gone  
35 into the extreme range. At these conditions,  
with large fires, there is really nothing that  
can be done in terms of controlling fires  
within forests and about all that can be done  
is go and withdraw as the firefighters did to  
40 property protection.

Fires in grasslands can be controlled if there  
is a very concerted flank attack on the flanks  
of a grass fire, but in a situation like we  
45 were faced here, with fires coming out of the

5 forest and spotting into grassland, it was  
virtually impossible for them to do any  
suppression action even on the grass fires,  
which may have been able to be controlled in  
places.

10 Even in extreme weather where fires are in  
almost continuous grass, if it runs into a  
patch of woodland and forest, the fact that the  
capacity of the fire to throw spot fires out of  
the forest much further than they are thrown  
out of grassland means that even a flank attack  
will be stymied at about that point where it  
runs into forest fuels.

15 The next slide, please. This is one also that  
has been shown before, but what I want to use  
it for here is that in fact there was quite a  
strong pressure differential between the north  
20 of the ACT where the fires were running and  
through here - the winds were stronger in this  
area than in fact they were further south. And  
at the south of the ACT where I have made some  
observations, the actual general wind strength  
25 was much less than it was in the north. Going  
down into Victoria, this was not a really bad  
extreme day down there, so there was quite a  
large gradient in the wind speed between the  
ACT and down as far as Cooma.

30 Just a couple of other little features - the  
smoke from the previous day's fire has been  
carried up and is sitting up there and now is  
producing a lot of smoke which is being blown  
35 out into the Tasman. Again, that's New South  
Wales. There are other significant fires  
running elsewhere in the state.

40 A close-up of that pattern - this in fact is a  
very strong convective activity. We think it's  
around about 1430. I'm not absolutely sure on  
those times, but that tends to match off the  
ground, and again lesser wind speeds. The  
45 height of this convection column here is  
illustrated by the shadow thrown on to the

lower level smoke, and a couple of my blokes estimated that from the size of the shadow and the sun angle, that it was about 45,000 feet, which I think was a bit in excess of the radar calculation, which is more accurate.

Just finally, a shot of the column from another view, which is taken from Shannons Flat, which is just to the east of Cooma and south of the ACT, where it was reported by the observer down here that the wind conditions weren't as bad and they were looking at this massive development of huge convective activity.

Finally, in this series of slides, just an overall view of the total area burnt through January right through to the end of March in the ACT. It was a very significant fire event for south-east Australia, of which the fires that we're primarily concerned with - that may be 20% of the total area burnt during that period.

The pattern of these fires, apart from - there is really an area in Canberra where they ran from grasslands - from the forest into the city here, and in Omeo down here, where the fires ran through grasslands and did extensive damage to the township of Omeo, burnt out the little township of Wulgulmerang, which is about here somewhere.

Elsewhere when the fire ran out into the grasslands they did not spread very far, and again I'm just repeating that feature - there was a characteristic of these seasons when we get really severe droughts and the grazing pressure has removed most of the grass.

I just note that there were in that area four firefighters killed in New South Wales and there were several firefighters killed in Victoria. So those fires were at a considerable cost as well as what happened here in Canberra.

I'm dealing with the individual fire histories of four fires and primarily the fire that started near McIntyre's Hut, which I'll call the McIntyre fire, fire that is started just to the east of the Bendora Arboretum, which is the Bendora fire, two fires, one at Stockyard Spur and one at Mount Gingera which I've combined together and are treating them as one fire for illustration, although they were two fires up until about 12 January. Then I want to look at the interaction of the combined fire spread, both between the Bendora fire and the McIntyre's fire on 18 January and the Bendora, Stockyard and Broken Cart fire, only briefly at around 1500 hours on 18 January.

In terms of looking at access roads into these fires, here we have the location of the McIntyre fire, Bendora fire, Stockyard and Gingera fire. The primary access from the ACT into McIntyre's fire would have been either along Two Sticks Road, which is a torturous road that comes in through here, and then there is another trail, that sort of comes through there somewhere, more or less. It wanders around a bit more than that. And there is access from the Brindabella Valley and from the west over here for New South Wales people.

For our fires in the ACT, in the Namadgi National Park, which is most of the area down here, the access is circuitous - from sites in Queanbeyan, they had to come up along the Brindabella Road, down through the Bendora fire. To get into Stockyard fire they had to come down virtually along the Mount Franklin Road or they had to come from south of Canberra through Tharwa and in through the Orroral Valley Road.

One of the issues when I was on Bushfire Council was making an action through the trail on Stockyard Spur through to the Corin Dam Road, which you can see would have provided

very rapid and immediate access into that fire.

5 I believe in managing natural areas, you have to look at the access, the time that it takes to get in there and perhaps examine ways where that can be reduced to facilitate rapid and early initial attack.

10 MR LASRY: On those roads you've referred to as being the access roads to each of those fires as at 8 January, what sort of condition were those roads in? What are the limits on vehicles being able to travel those roads; in other words, size of vehicle.

15 A. Just these roads that I've marked, they were accessible, I believe, although I haven't travelled them personally, myself. Certainly Two Sticks Road was accessible for crews or my staff that went in there to inspect that fire.  
20 It's a question that needs to be raised because we can look at these roads but we do have to understand the capacity of them to get large tankers in. I would believe for most of this trail it was accessible through most of the  
25 areas to get large tankers through, but I've only identified the main routes in there. There are many other roads in different states of maintenance.

30 Q. For the use of machinery, of course, bulldozers and things of that kind, they also have to be trailered in to the sites of particular fires. Are the roads as at 8  
35 January - were they suitable for floating bulldozers of various sizes?

A. For large machinery, it was probably the curves on this road - they were probably too sharp to float something of the size of a D7 or  
40 D8 bulldozer into those areas, so I can stand corrected, but I suspect it probably couldn't get much further than Bulls Head. I really don't know how far they could float a large machine in through the southern roads. But  
45 that would involve then a considerable walking distance for this machinery.

Q. The crews responding to the McIntyre's hut fire, indeed those that did so, where were they coming from? Was that NSW Parks and Wildlife initially? Where would they have been coming from?

5

A. The NSW Parkes and Wildlife offices are in Queanbeyan. There were volunteers, brigades, both in Brindabella Valley here and north in New South Wales towards Wee Jasper. There were a number of rural brigades there. There are a number of other trails not marked in here coming from New South Wales which would provide access from brigades if they were called from both Brindabella and from the sort of northern part. The Brindabella Road, this road, tracks through as a major road that goes through to Tumut and, if necessary, resources would have been brought in from Tumut and taken - there are roads that sort of connect through into this area, something like that, up towards the fire. That's very rough, my sketch. It's not necessarily an accurate positioning of the road.

10

15

20

25

Again, I've tried to reproduce this to represent some of the topography that we are dealing with in addressing these fires. This also illustrates to some degree the available road network which around the Bendora fire it was quite a dense road network compared to what was the problems in both Stockyard fire, which is here, and the Gingera fire, where if the fires were straight from initial attack, there is no close and accessible fallback line to go to and that either means that you need to do major operations to construct cut-off lines or fire trails that cut off the area, or you fall back to very large burning out blocks, which will be difficult to get around, and ensure that the whole area is burnt out by indirect attack within the time that you have available to you.

30

35

40

At the time of the fire, the Stockyard Spur was

45

not trafficable. It had been allowed to revegetate and, although now after the fire, it has been extended down the Spur, about to there. As was part of their strategy of saying, "What are we going to do with this fire?" - a major problem in the ACT is the Cotter Valley, the Tidbinbilla Range here, with no east/west roads going across it, and again I believe that connecting through the Stockyard Spur to Corin Dam is an essential part of making this road work and area in Namadgi National Park more accessible for firefighting.

Any fire starting up in the ranges in the ACT, you urgently need to get it out before it gets into this very steep rugged country on the western side of the Tidbinbilla Range. It's very difficult to do any firefighting operations in there. And anything else?

Q. No.

A. I think that's it.

Q. I'll take the next one, thanks. Just another one quickly. I'm trying to put the proximity of Canberra out here. Nice brown leafy suburbs! The Cotter Valley, which is pretty steep and rugged terrain, and the location of the four fires we are dealing with in respect of this major valley.

I'd like to now go on to the daily development of the McIntyre's fire and I'd like to acknowledge the assistance I've been given from the Rural Fire Service of New South Wales, who provided the line scan information and thermal information for which I've done this mapping; The Defence Imagery Geospatial Organisation, who provided the infra-red imagery from spot satellites that were mostly taken on 7 February, which give that pattern of the burnt area which you've already seen - they got that image from Raytheon, an organisation - and MapInfo, who provided the digital terrain model that we have used to illustrate the terrain; my

own staff, who put the whole picture together; and the police task force and many people that I've interviewed in the field. That assisted me as to where the fire spread.

5

Is it possible to give me a red pen, John? The McIntyre's lightning strike occurred here, just to the west of Lowells Fire Trail, at around 1541. It made a run briefly up this ridge, which is fire trail its sitting on, between these two creeks. It ran in that direction up the ridge and then got into this creek here. Under these conditions, a fire getting into a creek catchment like that will expand very rapidly, very quickly, and by 2000 hours - and this is a reconstruction from aerial photos supported by observations of people who have driven in on this trail to this point, and I suspect the accuracy is reasonable because this is the start - the fire collapsed at about 2000 hours and this illustrates the start of the green band that separated severely scorched or defoliated area here from a band of green just outside there.

10

15

20

25

The fire rapidly filled out that valley and through a number of spot fires, short-distance spot fires, just to the west of Webs Ridge into Mountain Creek up here and out on Baldy Range up there.

30

Q. Now, in your report at page 12, you suggest that by the time of this particular slide, the fire behaviour, as you say, had subsided, weather conditions had become milder with lower wind speeds and increased relative humidity. I think some of your staff were in the vicinity of this fire on this night and I think we'll see some video of that, won't we, subsequently?

35

40

A. That's correct.

Q. Just point out on there where they were?

A. They came along the Two Sticks Road and then came on to Dingi Dingi Fire Trail and

45

drove up and were in the vicinity of these spot  
fires here and then walked around several of  
those spot fires and then approached the edge  
of the main fire and they later drove back out  
5 to the Baldy Range fire, the spot fire there.

This had crested the ridge pretty much by 6.30  
and the convection column had collapsed at that  
point, so the intense period of spread,  
10 certainly as it came up that creek, and the  
defoliation shows up on all the imagery as a  
fire that has been a full-crown fire where the  
flames have extended past the canopy of the  
trees and a very damaging run up there. I've  
15 got a couple of photographs which illustrate  
the development of that fire, again taken by Mr  
Cutting, who took these photographs and  
actually recorded the time as he took them so  
they were very valuable image.

20 Q. Just before you do that, I wonder if we  
could go back to the previous one for a minute.  
The Baldy Range fire over on the right-hand  
side looks, according to that scale, to be  
25 about five or more kilometres east of the  
eastern edge of the main fire. Am I reading  
that correctly?

A. I sort of would say it probably originated  
in this slope - it's run up the slope and so it  
30 was probably a carry-off around about 6  
kilometres ahead.

Q. Does that tell you anything about the  
original intensity of the fire, that it spotted  
35 that far ahead, or does that not give you any  
information particularly?

A. I can say that from the look of the  
convection column as well as that spotting  
distance, I would say that was a pretty intense  
40 fire coming up this steep part within the  
catchment, but even back at this point, I  
suspect that the early development of that  
fire, even though it was still a surface fire,  
under those conditions, even if someone had  
45 been on that road at the time that the fire

started, with the fire unit, they would not have been able to contain it on that road. It developed very rapidly. This area here is a

5 dry box stringy bark country, and the stringy barks are particularly prone to produced fire brands and throwing spot fires ahead and so really when you are in a very high fire danger, you have little hope of stopping a fire in  
10 forest country if it's on a slope which is aligned with the direction of a prevailing wind.

15 Q. Before we leave this slide, as to the Baldy Range fire on the right-hand side, is there any prospect that that was in fact a separate fire started by lightning rather than a spot fire from the main fire at McIntyre's hut?

20 A. Identification of spot fires is always problematical. I looked at the Kattron data, which was registered - the presence of lightning strikes in all the other cases - there was no information of lightning  
25 discharges to the east of McIntyre's in this part of the range. The spot fires would normally fall out with the prevailing wind direction within an envelope of about 12 degrees. The wind, it appears, from the  
30 photographs that were taken was actually a little south of west, and Baldy Range really falls on the axis of that, and probably you could have got spot fires from about here up to about here. But we don't know - somebody may  
35 have gone up and lit it, but that's unlikely.

These have had the time cut off them, I think.

40 THE CORONER: Mr Cheney, on this small screen here, it says from Uriarra Road, 1712 hours.

A. Thank you, your Worship. Travelling down Uriarra Road looking north - if we look north-west towards the fire, that's a  
45 substantial column. I would expect there would be spot fires falling from a column of that intensity.

The next one is taken from the Brindabella Road at 1730 hours. The image was taken just above the pine plantation areas on the road that goes up across to Brindabella. We are looking  
5 across the eastern slopes of Devil's Peak and Mount Coree, and again that convection activity is indicative of a fairly severely burning fire. This is a few hours after the squall  
10 line had passed and everything was clear and bright and the wind is blowing quite strongly from the west.

At 1830, this is a panorama that Mr Cutting put together of two photographs and it shows that  
15 the convective activity that was obvious an hour before has now collapsed. I would interpret from this photograph that the fire has finished its uprun on the western aspects  
20 above Lowells Trail, and you will see here the Baldy Range spot fire, just as there was smoke in that area there.

Q. Is the original ignition point for the fire likely to be within that photograph or to  
25 the left of it?

A. It's down behind the ridge and it's out of photograph. I'd say the point about here is  
30 where the Webbs Ridge trail - and this is Webbs Ridge and Webbs Ridge trail - so around about where the pointer is, the edge of the fire is under that smoke, and then the spot fires have been splayed out further downwind.

There was another lightning strike which we  
35 didn't mention earlier, but that was due west of Mount Coree across a property called Mount Vale. Crews from Brindabella were directed to that, if not at this time within the next day to also attend this fire to the west of the  
40 ACT.

I just add this by saying that there were quite  
45 a large number of other fires that were picked up and were suppressed quite early in both New

South Wales fire service, state forests, in areas where they were accessible and easily attacked using bulldozers and hand crews.

5 The next indicates the road condition as registered on the MapInfo database. Two Sticks Road which comes from the ACT is classified as a two-wheel drive road. It is, however, a fairly narrow and torturous road and access  
10 along that road is relatively slow. The Dingi Dingi Trail is in good condition. It is accessible to two-wheel drive, but you'd really classify it as four-wheel drive. Webbing ridge Trail, coming from Doctor's Flat is accessible  
15 by two-wheel drive to about here, but further on these trails are four-wheel drive and in good conditions.

20 The importance of, I believe, rapid initial attack - because initial attack was not carried out, the agencies lost the opportunity to reduce the area that they had to deal with and although there was nothing that you could do with the head of the fire under those very high  
25 fire danger conditions, at this time, at 2000 hours when the fire had collapsed and even before on the back of the fire, it would have been possible to --

30 THE CORONER: I think it might take a couple of seconds to fix the pen and it might be just as well to have the morning adjournment at this stage if that's convenient.

35 ADJOURNED [11.17am]

RESUMED [11.35am]

40 THE CORONER: Please continue, Mr Cheney.

THE WITNESS: I'd just like to point out that although I have coloured the fire area in red, that's purely for illustrative purpose. The  
45 burning section of the fire is simply on the

perimeter, a narrow band. In all these photographs, although that's the red, the active fire is only on the perimeter. There is of course logs and material burning out within that red area, but from a firefighting point of view, because it's red, it doesn't mean you can't go in there and the hazards are principally from falling trees and timber.

10 I was at the point of saying from a firefighting point of view, at 2100 hours there were a number of actions that could have been taken if firefighters had been there and the principal action was the control of this part to the west of Lowells Fire Trail, and that really was a critical action in this fire because there is no accessible road between Lowells Fire Trail and the Goodradigbee River where it goes to the gorge. We will be looking at that in a couple of slides.

25 Likewise, Baldy Range fire up here was accessible and small and control of that fire, because it was on both sides of this fire trail, was also a critical spot fire from a fire suppression point of view. I don't believe that systems of forecasting fire behaviour are not good enough to say that what the fire behaviour will be at this time and because of the interaction between fires and the topography and the weather, it's essential that you get people on to the fires at the earliest and safest opportunity to assess the actual fire behaviour and whether or not there is suppression that can be undertaken.

40 The coalition of this fire was known. Its position in relation to the fire trail was known, and actions to suppress this small portion of the fire, which was in dry forest, the fuels were relatively light, easy access, the shrub was not high, and there's approximately 400 metres of fire perimeter which could have been controlled by a rake hoe team between 1.5 and two hours.

MR LASRY: Why was that so important that that be done at that point.

5 A. If you were going to take the option of indirect attack, this put the fire on the western boundary inside an accessible fire trail. To the west of this, as we'll see later, the containment line that was selected was a river and under conditions of high drought we cannot rely on a river to hold a fire, even a river the size of the Goodradigbee River. Even if fires stop down in wet creeks, they may be held up temporarily, but it's simply a small spot fire across it and if it's inaccessible and they're not firefighters, with access to get into the area to suppress those spots when they occur or soon after they occur, then you are then committed to falling back, often great distances, before you come to another accessible containment line.

20 Q. So is what you're describing as being an alternative strategy one which would have suppression on the western edge, to the west of Lowells Trail, in hours after 8 o'clock on the night of 8 January, so that Lowells Trail becomes in effect a western containment line?

25 A. Yes, I believe that firefighters coming in from the west, if they were available - and that is always a question that has to be investigated, and I don't know whether they were available or not - but tactically it's very important to hold this section of fire and the Baldy Range fire while they were small and overnight while firefighting conditions were easing.

35 Q. I think you also said in relation to a possible approach in that area west of Lowells Trail that there would be an approach with hand tools; am I right about that? Is that what you said a few minutes ago?

40 A. It would have been a task that could easily have been - well, as easy as hand-tool firefighting ever gets, but it could easily

have been contained with hand tools. Normally when you're looking at a fire of that size, to back up the hand tool line, if it was feasible, then you'd run a bulldozer line in to back it up. So you could provide on the bulldozer line access for a light unit to assist in mopping up that edge. You could put people with hand tools in there and they would control it within a couple of hours. You would expect them to stay all night and make sure that was held.

Q. Just on that, and which we'll probably come back to this in more detail, but you would envisage that crews that carried out that particular activity on the western edge in the Lowells Trail area, would not only use hand tools for fire suppression to make Lowells Trail a western containment line but that they would remain overnight at the fire. Are there difficulties or dangers in that being done?

A. In very general terms, in any of these fires, the first night is the safest it's ever going to be. You're going to face up with the same problems and the problems are essentially falling trees. They did occur when people were firefighting off roads. Most of the roads are narrow. We know that a number of trees fell on firefighting vehicles. It is a real hazard. It's one that has to be assessed. It's one that firefighters have to be trained to recognise, and trees that are hazardous should be identified. They should be taped off so that people walking, patrolling the line, new on the area, recognised that there's a dangerous tree in the area and principally if it's a dangerous tree in danger of falling across the line, you would get someone to sit there and watch it because sooner or later it's going to come down under these dry conditions and put the fire across the fire line you construct.

The next photograph is taken in the vicinity of - I believe it's this spot fire here, taken at around just after 2000, at about this time, and

this was also part of the information I used to reconstruct this fire perimeter.

5 At 2000 hours that is the fire that has crossed  
over - it's a cross-fire across Webb Spur. At  
this time of night the humidity is rising and  
the fire is burning brightest in the  
10 accumulations of stringy bark at the base of  
these gum trees where there is a large  
accumulation of bark. It is starting to self  
extinguish in parts where fine grasses and the  
fine leaf litter is starting to respond to the  
15 increase in relative humidity and is taking up  
moisture and so for virtually the next 12  
hours, the fire behaviour in this area is going  
to continue to digress until about 6 o'clock in  
the morning, it would reach its minimum and  
then would start to become active again towards  
20 8 o'clock in the morning.

20 So if we're looking at a fire which is going to  
get progressively milder for the next eight  
hours. One of the difficulties in firefighting  
at night is that you can construct hand line  
25 really close to this fire. Normally if you  
were doing it with hand tools, you normally can  
take the shortest boundary around these fires,  
just off it. You can work by the light of the  
fire. Once you've controlled the fire, it  
30 suddenly gets very dark and often the only  
thing you can do then is sit down and light a  
fire and sit it out until the next day, until  
it gets lighter again, perhaps around 4.30 in  
the morning. That also requires training to  
35 get people to do that, and as I said earlier,  
hand-tool firefighting is strenuous work. This  
is not a difficult fuel type to work in. The  
difficulty largely comes in hand tool  
construction from abundant large logs and a  
40 heavy shrub component.

This was the tactical containment decision that  
was made by the Rural Fire Service on the first  
45 night. It was decided straightaway that they  
would take an indirect attack approach to

containing this fire and they outlined the  
containment lines would be the Goodradigbee  
River to the west, the Powerline Trail, Two  
Sticks Road to the south - not entirely clear  
5 where they - they said the eastern boundary of  
the park in the situation report, so I presume  
that to be this road here, but subsequently a  
fire trail was put in closer to the actual  
boundary of the park to protect some pasture  
10 country on private property in this area of  
Dingo Dell. Then the north-east perimeter on  
Doctors Flat Road, and then the northern one  
along Webbs Ridge Road, Folly Fire Trail.

15 The red lines on this map indicate areas where  
they had to construct new fire line with  
bulldozers to complete the containment circle  
of that fire, or the containment area of that  
fire. A very steep pinch off this access to  
20 the last power line above the Goodradigbee  
River on - the Powerline is not marked on this  
map, but generally follows a trail here. You  
can see a bit of it in the forest down there,  
across this serpentine track across Flea Creek  
25 and across here past Brindabella going south to  
the Snowy.

30 There was a partial trail I believe in this  
area, but it had to be opened up and a new  
trail constructed. This little section here  
was done just to cut off this little section  
there, to shorten that tongue of fire there to  
make it a bit easier to subsequently patrol,  
and a new track was pushed in along here.

35 You can see that perhaps the importance of that  
little section there because there are sections  
of this river for which there are no access -  
no vehicular access for patrol of people along  
40 the river. Using Lowells Fire Trail as the  
western boundary would give them a greater  
chance of success, would have speeded up the  
operation, wouldn't require this fire line  
construction in steep country and the  
45 importance of the Baldy Range spot fire, which

is about here, which then opens up the possibility of doing this trail. There were some other options that I believe were canvassed within the planning meeting, and that was controlling this section of fire, which would require bulldozer operations, just to cut off those spot fires in that section there, which then opened up the possibility of using the Dingi-Dingi Fire Trail, which is this one, and shortening the area that they would commit to burning out. These two spot fires - the one here, which is not very clear on this map, but there's one here and there's another one here - always presented a problem, in that they were fairly deep into the area and controlling this section of fire still left them with the problem of what to do with those spot fires, whether they were going to have enough time to get in and carry out initial attack on those fires or whether in fact it would be faster to fall back into containing this fire on a larger area.

So in any planning section, the firefighters were faced with this option of either controlling the fire at minimum area or if you can't control the fire at minimum area, you certainly have to attempt to control it in minimum time. So it then requires knowledge and experience about fires and the terrain as to what you can work in and what you can do in the time available, and let's say, rule of thumb, if you don't know anything about the weather, a frontal has just gone through, within seven days, preferably much quicker, because you need a few days to be sure that the perimeter that you light up from is burnt out.

Q. You say in your report at page 12 that, as you understand it, the strategy was to complete the control lines, which you describe there, with the day shift on 9 January - that's the following day - and back-burn from there on the evening of 9 January, and consolidated with aerial incendiaries on 10 January, and then you

offer the opinion that the stated time frame for the suppression action was unrealistic, as you say, because of the area of planned containment, the time required to construct fire lines and the time required to burn out the fuel inside the containment lines. Do you want to say anything further about that?

5

A. Other than it was a considerable task to do and they decided to use this Powerline Trail, which is accessible, but it's a very serpentine road, as you can see. To do that easily, you had to get in very quickly and control this in that period in the next day or so when the wind was from the south. As soon as the wind shifted to the north-east or east, as we will see later, the burning out operation became progressively more difficult and slowed down.

10

15

20

That area is about I think 10,000 hectares, from memory, and that's a pretty large area to get around, just physically getting around that area takes time. Also they seemed to want a strategy where they've completed their containment lines before they were prepared to do burning out. Now, in fact that didn't happen. They had to get in and start their burning out operations, but there was still a substantial delay before they started burning out.

25

30

One of the important things is to get experienced people on to the fire into the topography and assess the country and the danger and what you can do and then advise your planners on the possibility of various strategies.

35

This western slope did present a problem of getting a cut-off trail down the slope. We'll see subsequently how on the dry westerly slope this fire spread laterally, much faster than it spread on these moister - sorry, this is a dry western slope - spread more rapidly than on these moist eastern slopes.

40

45

Q. Your view as offered in your report is, and we've dealt with this already to an extent, but you're critical of there being that you describe as "no direct suppression" on the first night and I think what you are referring to is suppression which in effect turns that Lowells Trail into a western containment line by direct suppression on the western edge of the fire and also direct suppression on to the Baldy Range spot fire in order to perhaps make that track the eastern containment line. Am I right about that so far?

A. That's correct.

Q. And as to the north and south, what would you say about the containment lines as they were proposed and whether they were appropriate?

A. I believe that this flank between the Powerline Trail presented a problem of getting a cut-off point or a line down any of these ridges prior to this access trail and a relatively short length of bulldozer construction line in very steep country, pretty much at the limit that you could run a bulldozer downslope, practically impossible to work upslope, or impossible to work upslope.

It really depends on the resources that you can muster. This didn't spread rapidly on this eastern slope. If you had resources that were holding along here, it may have been possible to use waterfall trail, and slice off this section of fire, and then you would be confronted with the problem of this section and what you did with this section.

If it was decided that that was possible, indirect firefighting, remote indirect firefighting, is a legitimate fire tactic. I'm not being critical of that tactic in itself, but it has to be formulated within the framework of the time and space that you have to do it in. Whichever way you went,

considering this as a viable containment line really was not an option.

Q. The river?

5 A. Yes.

Q. Because it couldn't be controlled?

A. That's right. I understand from  
10 conversation and hearsay of people that were at  
that planning meeting that there was some  
reluctance to use the Powerline Trail, and an  
alternative strategy was suggested to come and  
burn out Flea Creek but that would have  
15 aggravated the problem even more. Again, if  
you extended down here, what were you going to  
do along this area on the Goodradigbee River?

Moving to the next one, I'm trying to  
20 illustrate the position of this fire within the  
topography and give you some idea of its  
orientation in relation to Canberra. This is  
looking, south-east. This is Lowells Fire  
Trail here. You can see these slopes into the  
Brindabella Valley are steep and this Waterfall  
25 Trail comes down through one of the few  
accessible ridges that's available. The  
country is to the east of this range and  
generally we're looking in an easterly  
direction and it's rugged but isn't as bad as  
30 the western slopes into the Goodradigbee. This  
is the Powerline Trail coming along here and  
down into Flea Creek, and it's a serpentine  
trail that gives access to the Powerline and it  
left them from I believe it's a point here  
35 where the Powerline takes off, constructing a  
bit of bulldozer trail down that ridge, again a  
very steep section of trail to construct a fire  
line, to cut off the southerly spread of that  
fire.

40 The overall containment lines that were adopted  
on this map - this was a section of line that  
actually had to be constructed down here into  
the valley and link up with another road that  
45 came through there. So we had Folly Fire

Trail, Webbs Ridge Trail and that sort of snakes back on to Doctors Flat Road, Dingo Del in here and the eastern perimeter, which probably comes along here, Baldy Range spot fire is sitting about there.

The two spot fires are not very clear here. There was one on this ridge. We'll see its development later and there was another one stuck in the valley down in there.

Q. Are you able to estimate how far the eastern containment line would be from the western edge of the Canberra urban area, what sort of distance is that?

A. I would say as a guess, and it is a guess, about 20 kilometres.

I think I'll take the next one, thanks, John. This is 9 January at 2.50. This is a line scan image. The fires have expanded. The interesting feature is that in this area here, the Lowells Fire Trail has held the spread of the western spread of this part of the fire without any fire suppression action being carried out on it. The Dingi-Dingi Trail was providing a barrier to that little section of fire, again without any suppression action on it. Even during the day, the wind was essentially from the south and so the major spread has been done along these ridges and in this area.

This has now extended it. Its previous position, if you recall, was about there and it's now extended a little further down into the creeks. It is still a feasible fire-fighting job, even at this point, but once it crosses this ridge, it crosses this creek, and climbs up on to that ridge, it's now becoming more difficult to seal off that little section of road.

At this time, although the wind was southerly, the fires are largely responding to the slope.

Winds were relatively light. This spot fire has run in this direction. This spot fire is running in this direction. The Baldy Range spot fire has simply expanded around its perimeter in all directions.

This one is sitting fairly high up on the ridge, and so it is burning downslope, all around its perimeter, and that means that there's no heading fire as such. This is a backing fire which was backing downslope with the flames leaning towards the burnt area. It's still a viable firefighting option to cut off that edge, but this is quite steep, quite rocky slope. It's difficult firefighting country, and as the fire gets larger, the task of getting a line around that becomes more difficult. The steepness of this country would make it difficult to use a bulldozer now to cut off that fire edge. Bulldozers don't like working on side slope, and if they're going to cut line, they have to side-cut into the slope and that creates a pretty major scar on the terrain. That's difficult to rehabilitate.

In general, on this shading that we've used, the lighter shading is westerly aspects, and that tends to be drier because it gets exposure to the western sun, and there's a small moisture difference between the easterly aspects and the westerly aspects. The darker shading tends to be southerly and easterly aspects.

It's the same time and same scan, but we've expanded the scale out to sort of prepare for the further development of the fire. At this stage firefighters are preparing to cut off the Powerline Trail and my notes have the times that these actions were put into place.

The next one, thanks. 10 January - you can see here that this has got across on to this ridge. The winds are now tending more easterly and the major spread of the fire, the most active

5 areas, are on this westerly aspect on the  
eastern side of the Goodradigbee River, crossed  
over the Lowells Fire Trail in quite a number  
of locations, and burning downslope towards the  
river. We said before, once it got across this  
little creek on to this ridge, in those  
conditions, that meant that there was now no  
chance of using Lowells Fire Trail here as a  
place where they could hold it.

10 At this time, the Rural Fire Service did change  
their tactic and they put crews in to work  
around this edge of this fire, and they did  
hold it for some time --

15 THE CORONER: Just for the record, that's the  
Baldy Range fire.

20 A. That is the Baldy Range spot fire, your  
Worship, yes. But again it became now a  
question of the size and the steepness of the  
terrain that that had got into which presented  
them with a difficult task to hold that. In  
this situation, if it were possible to back  
that up with a bulldozer line being pushed into  
it to provide some vehicular access down into  
25 the area so that mop-up could be more thorough,  
it is difficult to mop up logs and material  
when you are only using hand tools and perhaps  
carrying in a knapsack with 15 litres or so of  
30 water on your back. Basically you just have to  
cut it off, sit and wait for the material to  
burn out, break up as much as you can and  
remain on patrol on the line to try to get  
material as it falls over the line.

35 These spot fires which were in here have now  
expanded and linked up together and linked up  
back with the main fire. This section is  
spreading very slowly on this south-easterly  
40 aspect. The fire in this section is being held  
by the road. Again, nobody is on there, but  
the fire intensity is low enough that it's  
burning up to these narrow trails and doesn't  
have the intensity to carry it across. It's  
45 helped by the wind direction, which to this

point is generally south-easterly or easterly, so that's not surprising there's no spot fires being thrown across there.

5 The general pattern or spread on this westerly  
range was to spread at lower levels and then  
make little short, sharp upslope runs as  
happening here. And if we look at the line  
10 scan imagery, we can see that this is actually  
the head fire which is burning actively and  
progressing upslope, so the fire was burning  
across and then making a number of upslope runs  
on the dry westerly aspect against the  
15 direction of the prevailing wind, but in this  
case - as always in any wind that occurs in  
this situation at this wind strength.

Again, I keep reiterating this is always going  
20 to be a problem in this part of the world  
because we were relying on access on foot along  
the river wherever it's possible and at  
locations you can get in, but difficult to get  
firefighters in all along that planned  
25 containment line.

THE CORONER: Again, for the record, that's  
indicating on the Goodradigbee River.

A. Yes, your Worship.

30 MR LASRY: In your report you noted for each day  
the temperature, relative humidity and wind  
speed and direction. In this case, for example,  
at page 14 you note that the temperature at 3  
o'clock in the afternoon was 26 degrees,  
35 relative humidity was 26%, wind was from the  
east at about 9 kilometres and the Forest Fire  
Danger Index was at 15, so fire danger was  
high. They're Canberra Airport conditions. As  
far as you're aware, what does that say about  
40 what the conditions would have been in the  
vicinity of that fire on 10 January? First of  
all, would the temperature be likely to be the  
same or a bit lower?

A. The temperature would be a bit lower  
45 because of the altitude, although down in the

Brindabella Valley that's still at a fairly low elevation down there. It was probably warm and similar to the conditions at Canberra Airport. The easterly wind may not have penetrated as strongly over into this area, so the wind strength could have been lighter, despite the higher elevation, and certainly down in the valley I'd expect the wind speed to be quite light. Although the humidity is low at 24%, there was no evidence of spot fires forming out in this direction on the line scan imagery, although this is a reconstruction of infra-red photographs at 2400 hours, which I wouldn't expect spot fires at that time of night anyway.

There may have been some spot fires during the afternoon across that area. That wouldn't have presented a problem, I believe, if people had been there and were capable of attacking them directly if the holding on Lowells Road had been an option that had been selected.

I'll take the next one. 11 January at 1600 hours - the fire here has progressed and again this process of spreading along at the lower elevations and then making short, little upslope runs here, another one happening here at this time. This is burning slowly down to the river, and these perimeters are expanding really quite slowly, although now the spot fires are linked up, just a little bit of area in here to burn out. The handline construction on the Baldy Range Trail is still holding at this point. This area here has not moved from the previous image and so far they are being successful and I believe their tactic, if they could hold that, was to use the Baldy Range Road or fire trail as a containment line and tie it back into Two Sticks Road.

The burning out from the Powerline Trail has commenced at this point and I think my notes say that it commenced around about 1200.

Q. Just hang on a second. This is at page

16:

5 Back-burning commenced along the  
transgrid Powerline Trail from two  
locations. One team started at the  
junction of Powerline Trail and Two  
Sticks Road, proceeded towards the  
west end of Flea Creek. Other teams  
10 started at the junction of Webbs Ridge  
and Powerline Trail. By 1600 hours,  
each team had completed between 1 and  
1.5 kilometres of back-burning.

15 A. The start point, I believe, was somewhere  
here on the junction of Webbs Ridge and the  
Powerline Trail, and a team worked in this  
direction along the road and burning out,  
lighting fires there, and they also came down  
20 this way, with the intention of following along  
this road out to the transmission line point,  
which is there. The third team was starting  
here and was burning down the Powerline Road  
and setting the burning back towards the main  
fire.

25 The rate of spread in these perimeters was  
really quite slow. It was something less than  
500 metres a day. That had to mean that there  
were quite long periods during the night where  
30 the fire was inactive and hardly spreading at  
all. It was really quite a very low rate of  
spread, even for a backing fire.

35 Q. Just before you go to that, in your notes  
you deal with the issue of the need to  
back-burn or burn-out overnight and you also  
refer to withdrawal of the ACT task force from  
this area. Just in relation to that diagram,  
you might have to go back to the 11th.

40 A. I understand from Mr Winter's statement  
that they were tasked on part of the burning  
out down this trail. They were asked to  
withdraw from that operation. His statement  
45 said that conditions that night were very  
favourable for burning out and he believed that

5 he should have been allowed to stay on the line with his views and continue on and carry on during the night while the firefighting conditions were very conducive to setting the fire safely.

10 Because of the serpentine nature of this road - and they had to burn out these little pockets - there was a chance with the easterly wind that parts of this would spot over, and I'm sure that happened in places as they were getting into this area if the conditions were hot. That's much easier to do it at night while humidities are high and spots are less likely to take. When the humidity is up over 60%, it is generally only the big flaming fire brands of bark which will start a spot fire. The smaller sparks don't have enough energy to ignite the fuels under those conditions.

20 I had understood from Mr Winter's statement that he felt that the firefighting operation was held up and the Rural Fire Service didn't continue that. Subsequent conversations with Rural Fire Service people may challenge that, that they keep burning overnight, but I think my interpretation from the scans is it really did slowdown the progress of working along that edge. You can see on the next slide that this is at 16 hours. They've made good progress and with overnight burning it should have been possible to connect this if they had little problems with firefighting.

35 Q. We'll come to this, but relatively speaking, of the fires that were burning to the west of Canberra that were of immediate concern to Canberra, was this the largest as at this stage?

40 A. At this stage it was by far the largest.

Q. Does it mean that because it was the largest it was potentially the most dangerous fire that was burning at the time?

45 A. Not necessarily. Really you would have to

weigh up the danger in terms of the ability to contain it.

5 Q. I asked you the question just to see if I  
can get some understanding as to the importance  
of the burning out that you've referred to,  
which apparently terminated on the night of the  
11th. How important a task was that at the  
10 time that it was being undertaken? Is it  
because there was pressure of time and because  
the conditions were appropriate for that kind  
of activity that you think it was important?

15 A. I don't know the reasons for them  
terminating or taking the people home. It may  
have been to do with official shift lengths or  
matters such as that which have to be worked.  
I'm not aware. But I think in practical terms  
if a fire team is assigned to do a burning out  
20 program during the night, they should be  
assigned to work on the program right through  
the shift period until 6 o'clock in the morning  
because, a), they are already familiar with the  
work that they have to do and the conditions  
are suitable for them, and that's going to be  
25 the easiest operation that they can do.

There probably wasn't another team to replace  
them at that time and replacing them in the  
30 middle of the night anyway would be difficult,  
just through familiarisation with the terrain  
on the operation. So I think really the  
question about assigning a team - okay, you  
must give them the priority to work through  
what is a practical work period in terms of  
35 containment of the fire line.

Q. I'm sorry, you were wanting to go to 12  
January.

40 A. I mean, the reason I think that they were  
delayed overnight is that we are now a full 24  
hours later in when the time that this scan was  
taken, and this has been very slow. In the day  
they've only completed a section along here and  
it is sort of round about and the previous day  
45 at 1600 hours they've got to about this point.

So in 24 hours they have really made very little progress in that burning out operation. You might remind me of what the wind direction is, please.

5

Q. As at 1500 hours, 3 o'clock in the afternoon, the wind was east south-east at 26 kilometres an hour, temperature of 24.6 degrees.

10

A. At an east south-easterly wind, they're still getting some advantage by the wind sort of pushing out in this direction, but during the day the nature of this fire trail means it's almost inevitable that they will get spot fires coming across it and it's most likely that its breakaways from their burning out operation during the day slowed the progress in this section of the fire trail, and if they had have been allowed to burn outright through the night, they could have contained or got the line connected up in easy conditions and then had just the task of holding that and patrolling it during the day.

15

20

25

In some ways it's easy to say that without them being there, but I think the principle of working throughout that night is really important in this type of operation.

30

At this point they have actually - and I haven't marked it - but they have constructed the fire line down this ridge to connect up with the road and they probably started a little burning out in this area. They have had a breakaway just here, across their line, of which they had to withdraw the bulldozer and control that breakaway up that little bit of slope. So just at this point of time you can see, right, they were having problems holding the southerly flank of this fire on the slopes.

35

40

Q. In relation to the Baldy Range fire, does the eastern edge of that, as depicted there, mean that that containment line was held at

45

least at 4 o'clock on 12 January?

5 A. It does appear to me - again from the imagery there appears to have been no spread in this area, so it seems they have been able to hold this. I don't know how many crews or what resources they had on that fire edge. I walked a section of that line down around this area and could find no evidence of substantial hand line construction, so they may have adopted a

10 hot and cold trialling technique where they've just put out bits of the fire that were burning at the time that they went through. I really don't know what effort was put in to patrolling that and maintaining it. I would have imagined that it was such an important section of line that it really would have been important to construct a substantial hand trial through there and apply very strenuous efforts to keep it under control, but one would have to talk with people in the Rural Fire Service that were engaged on that section of line to establish exactly what was done.

25 Q. When did you actually walk through there, Mr Cheney; some time after the event?

30 A. It was some time in July when I walked around through that trail, and I walked across the junction of where there had been high intensity fire behaviour from the subsequent breakaway and there was a change of evidence from very low fire intensity to quite significant fire intensity. I may well have been in the wrong place.

35 THE CORONER: Mr Cheney, just talking about fire intensity, we saw a photo, some slide a few slides back, which showed a fire in the bush. Is that about, if you're able to say, 40 the intensity of the burning, if you're talking about the height of the flames? How would you describe the fire that's burning in this area at this stage?

45 MR LASRY: Your Worship means at, say, 4 in the afternoon?

THE CORONER: Yes.

MR LASRY: Because there's variations between the daytime and the night-time.

5

THE CORONER: Yes, but of a daytime.

A. I believe that in areas where it was making short upslope head fire runs - and this is one of them here, your Worship, going up there - that would probably have flame heights of between two and three metres on the head fire while it was making an upslope run. In other areas where it is essentially burning as a backing fire going downslope into creek lines, as along here, perhaps across this flank, the flame heights would probably be less than half a metre and with the flames leaning in towards the burnt area.

10

I did go out on to this area on the next day and came in and looked at a couple of sections of fire edge, just to evaluate, and that was more or less the description of the fire.

15

MR LASRY: Can I ask you this: you made the point much earlier that when we look at this diagram, it is not that the whole red area is a flame.

20

A. That's right.

25

Q. What we're seeing is a map of the fire edge, but with a view to inevitable forthcoming bad weather in the larger burnt out area, what in fact is happening in that area? Is it usually completely backed out, say, as at this stage or are there portions of that that are smoulders? Do you have burning logs that you referred to in your earlier description? If you walked through sections of that burnt out area in the middle, what would you be likely to see?

30

A. Sections back close to where the fire started, a lot of the heavy material would have burnt out completely. In some respects, firefighting under a high drought condition is

35

.CF154/2003 10.10.03 P-363  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

made a little more straightforward because you  
have very complete burn-out relatively quickly  
and you don't get logs hanging on for weeks and  
months afterwards because if they're going to  
burn, they tend to burn.

Within a couple of hundred metres, which  
probably would have sort of represented the  
last days burn coverage, there would be a  
substantial number of large logs and trees  
which are still remaining burning maybe 200 to  
300 metres back from the edge of the fire edge.

At this point, the original fire - if we could  
try to see the point of separation - has  
actually come down to this point here and  
probably filled out sort of somewhere like  
there. So at this point, they are getting  
their fire perimeter just in time to contain  
the spread of both these and the general spread  
as it's gone this way and gone up that way on  
the westerly aspect at a much faster rate than  
the spread in these areas here on the easterly  
aspects. So the position of the fire within  
the topography is, if you like, setting this  
fire naturally to take advantage of an extreme  
weather and produce a very big fire.

I think the next one, thanks. Can you give me  
a black pen, please. This section of fire here  
has actually been contained on the track that  
they pushed down and the little breakaway here  
has been contained, so that edge is not active  
any longer. It's been contained and burnt out  
to that edge, and although on subsequent graphs  
that will show up as a red section, in fact  
that's where the edge stopped.

The burning out along the Powerline Trail has  
now progressed and I think by the 13th we were  
moving around to a north-easterly wind  
direction?

MR LASRY: East to north-easterly, yes.  
A. That wind direction is tending to slow up

the operations along Two Sticks Road because they now no longer have the advantage of the fire, pushing away from the fire trail, but when they light up on the edge, the fire is blowing sparks across the trail and that's a slower job, much more mopping up of fire brands and the possibility of spotting across the road.

10 At about this time I had a look at this operation along the road, and that was exactly what was happening to them. The wind was blowing the fires that they were lighting and the sparks and smoke were back across the road that they were patrolling, and now the operation has slowed down on this southerly side considerably.

20 The Baldy Range part escaped here and has made a run-down this little ridge, come down, got across the creek and has now broken away. That breakaway has now made the use of Baldy Range Fire Trail as a fire control line impractical - well, it just ruined that strategy, and they are just starting to extend the burning out which is now going to go down around Two Sticks Road and in along the perimeter here where they set off to construct the new fire edge, the new fire line. So they've now then pushed back from their second strategy, which I hope I've made clear, that they changed from the original one to trying to hold it along the Baldy Range Fire Trail. They now have to fall back and work off the eastern perimeter of the park.

35 At about this time, they are constructing a fire line from Folly Trail here along this ridge and down this ridge, something like that. So that part of the trail was being put in and they're I think preparing now to burn out to contain this northerly spread on the westerly aspects.

45 Q. Does it follow at least at this stage that where the fire has burnt down to the

Goodradigbee River, the river has held the fire, it hasn't crossed?

A. Yes, that's correct.

5 Q. Notwithstanding any increase in the wind?

A. There was action along parts of this that I'm aware of. The firefighters did get into parts of the river and where they had access on the flats, their problem laid probably particularly in this little gorge area where there was no easy access and pretty much relying on the river to hold it at that point, without support.

15 Q. Could I ask you, going back to the Baldy Range for a minute, why does that have to be abandoned as an eastern containment line when at least part of that trail seems to be holding the fires, to the north - the section that's escaped?

20 A. I think really --

Q. There's no intermediate strategy that you can adopt to try to retrieve the situation?

25 A. It's a time and space decision about whether or not you can put machinery into this country now to more or less directly contain that fire, which would be really your only alternative strategy that you would have. That I think would have been too great a task to construct, by a line across these creeks and these gorges in here, than taking the time and space to fall back to established roads and burn out from them. A difficult decision because I think firefighters are always weighing up those two options.

30 Q. I'll probably come to it later. The next slide is a photograph. Could I just go back one and I'll just show where it was. In this vicinity of the fire edge, this photograph was taken at about this time, and when we look at the video there will be some video which has walked some distance along this flank and produced some video of the fire. I can't

recall, but there may also be some video of this burning out operation off Two Sticks Road in that location.

5 At 7 o'clock in the evening, the fire on the northern perimeter of Webbs Ridge Trail. Again, it's now starting to die out, still burning reasonably brightly at this point and starting to die out as the humidity is rising. Quite a  
10 lot of this large log material was very dry. It was catching alight and would remain burning overnight so that even if the humidity rose to a point where the fire and the eucalyptus litter died out, these large logs were big  
15 enough and they would remain burning overnight and have the capacity to relight this edge in many positions and it did appear from examining the scans that this reignition took place on an almost - well, did replace the fire line  
20 extremely rapidly when the conditions warmed up during the day.

25 Conversely, when you were doing a burning out operation it works against you in getting the area burnt out without additional ignition within the area. So it's a two-edged sword, as always. There were fire-damaged trees catching alight, and I think the next slide, this is fairly typical of what's happening in these  
30 hollow trees and this tree probably has another two hours life of standing upright, in which case it will fall down. The danger to firefighters when they're working in these areas is that this happens with very little  
35 warning. When it falls you have to be aware that it's there, assess where the fall zone is that it's going to go into, because when it comes, it comes without any warning. So this principally illustrates the hazard that  
40 firefighters are facing when they're working close. This tree is located about 60 metres from the edge of the fire. It's going to continue burning pretty much until it falls.

45 The next one. I've gone back another level on

the scale, so this is still 13 January, but we've fallen out to illustrate the Doctors Flat Road and now the final control line. As I said before, this trail has been taken from here  
5 sort of along the red, down this ridge and down into the river. It then hooks up with other trails. I'm not quite sure of the location, but they come up under the spurs and then go up to that road.

10 This edge is still being held. It's not active, as I said in the previous slide. That's held. So the task facing for the next work period is to try and contain the top of  
15 this large area and we got too smart with ourselves to work out areas automatically, so I can't give you the areas right now, but I'll have those by early next week. But with this roughly 10,000 hectares of burning out, we've  
20 burnt probably 60% of the area, just as a rough guess.

25 The next one. 1415 hours, this is line scan data. This trail has been connected through and has been on the edge there. That's been connected through and back-burned from at this point. The back-burning has now in the north progressed fairly rapidly. The wind direction, I believe, had switched to the north at this  
30 stage.

MR LASRY: You record it as west at Canberra Airport at 3 o'clock. 29.6 degrees, and the wind from the west at 11 kilometres an hour.  
35 A. Okay. I would suspect up there they were getting a north-westerly influence, and you can see the difference it has made with the progress. You have now the wind - let's say it's in the west. They are proceeding along  
40 this trail pretty rapidly. Conversely, the section off here has only gone from here out to here in the same work period. So firefighters in this area are having problems because the wind is blowing the fire that they're lighting  
45 not towards the fire but away from it. Two

5 things would happen - the rate of spread back here would be very slow because it's backing back into the wind, and there's the extra hazard that they'll get spot fires across this edge, across the line there.

10 I'm indicating these areas but although the drier westerly aspects have burnt out quickly, we have had pockets here that have stayed burning out very slowly for over a number of days. In this operation, these pockets of unburnt country, even well within the control line, produce a threat of escaping if the weather conditions rise into the very high fire danger class.

15 The next one. At this point, this is at 1638 hours. Although the operation has proceeded rapidly in this area, there has been a breakaway at this point across the trail, which has had to be controlled by pretty much direct attack with a bulldozer and a line around it. Again, this burning out, they have pushed another trail which has come down and this is very roughly, it's in this area somewhere through here up something like that.

20 A new trail has been constructed away from the existing network, primarily to protect private property in Dingo Dell area which is here and a bit of grassland in here.

25 So again, falling back to the eastern perimeter, it meant that they had a significant length of fire line construction to do if they were to use the existing trails and burn out fuels on private property.

30 Q. Your evidence already indicates that by 15 January, towards the end of 15 January, the outlook for the following three days was obviously an outlook towards extreme weather, and I think by 15 January, Saturday the 18th

45 was being predicted to be the worst of those three days as the weather got gradually hotter

and drier. Assuming that knowledge and the lines of those controlling the way in which this fire was being contained, what sort of imperative does that add to the situation as it stood then at 15th January?

A. It really adds an imperative to burn out this large section of country that is left unburnt within the control line. Time is now running out for the operation - a lot of country left to burn out and my option at this stage would be, even though on 15 January they hadn't completed this burning out operation, but late in the evening the forecast for the 16th was not too bad fire weather.

Probably the last moderate day that they had on the forecast would be to aerially ignite in this area and do selective burning out by placing the ignition points where they would take out the dry westerly aspects overnight and attempt to burn out as much of this country because it was not going to burn out by the rates of spread of these perimeters. These off Doctors Flat Road in particular - there was quite a rapid upslope run off the road, but then as soon as it crossed over into this catchment, as you can see, where all the lines are coming down the major creek here, the rest of this fire is burning down slope and therefore burning slowly into this catchment area here.

Although the fire behaviour, when they were lighting up the roads, was active, the next photograph was taken in probably this little screen line here, I think. This has been the fire edge that's constructed there. I went into this area to look at the operation and came through to this area and this area and while there was active upslope fire spread, the fire spread where it was burning either on level ground or downslope was very mild.

Q. Just between the 8th and the 15th, had you visited this area on several occasions?

5 A. Yes, I didn't visit on the 8th. Members of my staff went up and took video. I came and visited it on the 13th and again on the 15th of January. The 15th - I sort of left at about this time when they were doing the burning out operation at this point coming into Doctors Flat.

10 Q. Did you form a view at that stage as to whether or not this fire would be able to be controlled or whether it might affect Canberra?

15 A. I didn't think that they would get it under control, a burn out of that area at that stage, and so I believed it had the potential to escape whatever control actions they were going to make.

20 Q. Had you formed a view about whether or not it would be likely to affect Canberra directly?

A. Under extreme weather, I was sure it would come into Canberra, yes.

25 MR LASRY: Your Worship, would that be a convenient time before we go on to the next day.

30 THE CORONER: Yes, thank you. You can have a seat, thank you, Mr Cheney. We'll adjourn until Monday at 10 o'clock.

MATTER ADJOURNED AT 1PM UNTIL MONDAY,  
13 OCTOBER 2003

35

40

45

TRANSCRIPT OF PROCEEDINGS

CORONER'S COURT OF THE  
AUSTRALIAN CAPITAL TERRITORY

5

MRS M. DOOGAN, CORONER

CF No 154 of 2003

10

INQUEST AND INQUIRY

INTO

15

THE DEATHS OF DOROTHY MCGRATH,  
ALLISON MARY TENNER,  
PETER BROOKE, AND DOUGLAS JOHN FRASER,  
AND THE FIRES OF JANUARY 2003

20

CANBERRA

DAY 5

10.03 AM, MONDAY, 13 OCTOBER 2003

25

30

35

40

45

[10.03am]

MR LASRY: Your Worship, with the concurrence of  
my learned friends' and your Worship's  
5 approval, I'd like to interpose a witness who  
will only be fairly brief in his evidence.  
He's the witness who gives evidence in relation  
to the lightning spots, your Worship.  
Mr Kenneth Tycehurst, if we could call him.

10

<KENNETH VINCENT TYCEHURST, SWORN

<EXAMINATION-IN-CHIEF BY MR LASRY

15

MR LASRY: Before I start, I should indicate  
that the relevant material is in folder 11 of  
the brief and is the very first documents in  
that folder.

20

THE CORONER: Thank you.

MR LASRY: Mr Tycehurst, your full name is  
Kenneth Vincent Tycehurst.

25

A. That's correct.

Q. And is your professional address 211 B,  
The Entrance Road, The Entrance in New South  
Wales?

30

A. That's correct.

Q. And are you an electrical engineer by  
profession?

35

A. Yes, I am.

Q. And presently a member of the Federal  
Parliament?

40

A. That's correct.

Q. And are you a company director and, I  
think effectively, the owner of the company  
Kattron?

45

A. That's correct.

.CF154/2003 13.10.03 P-373  
(c) WordWave Int'l

K.V. TYCEHURST X  
MR LASRY

Q. And is Kattron a company which specialises in lightning detection systems?

A. It does.

5 Q. And does it do that for a number of particular commercial purposes?

A. It does. It was set up as a commercial realtime lightning tracking system back in 1990.

10

Q. Right. And, broadly speaking, what sort of people are interested in knowing about lightning in real time?

15 A. Primarily the electrical utilities, the State Rail, bushfire organisations, insurance companies use recorded data, also the weather bureau used to use our data at one time.

20 Q. All right. Now, during January of this year, did your lightning detectors record various lightning strikes which were able to be then provided to people who were interested in the information?

25 A. That's correct. We did a forensic report for the strike force Toronto.

30 Q. Yes. And you were able to provide details of lightning strikes in particular areas which I think were given to you by reference to a point which was a grid reference?

A. That's correct.

35 Q. So the idea was that they would give you a grid reference on the map, all of which were in the vicinity of Canberra, where these fires commenced, and you were then asked by reference to the information which you obtained through your detection system to give details of the lightning strikes nearest to that point over a particular period; is that correct?

40 A. That's correct.

45 Q. Would you just describe for the non-expert, Mr Tycehurst, how the lightning detection system actually works?

5 A. The lightning detection system consists of  
a number of centres and they're strategically  
located around south-east Australia on our  
particular network, and these receivers are  
essentially a high sensitivity AM radio and  
they have a sensitive time clock in them, which  
is updated by the GPS satellite network. So  
essentially a sensor detects a lightning  
signal, digitises the first 100 microseconds,  
puts a time stamp on the peak of that lightning  
current, and those references are then sent  
back to a central computer that is located at  
Tumbarumba on the Central Coast and, by taking  
the time difference of arrival at the lightning  
signal at a number of sensors, we're able to  
work backward to determine where that signal  
came from.

20 The system can do this at the rate of probably  
15,000 strokes an hour is the most we've ever  
detected on the network, but it has a rearm  
time of about 6.5 milliseconds - sorry,  
microseconds.

25 Q. Is it theoretically possible that in that  
rearming time, a lightning strike could occur  
that wasn't recorded?

30 A. It can. No lightning tracker can be 100%  
accurate. We would say that in this particular  
area our detection efficiency would be greater  
than 90%.

35 Q. So although it can happen, it's unusual  
and unlikely, are they fair descriptions?

40 A. You wouldn't know really because you  
wouldn't detect them, but essentially from  
experience with a network and comparison with  
other networks we know from that is what's  
happening over a period of time.

45 Q. Yes. Now, on 30 January this year, Mr  
Prendergast, who is part of the data services  
of your company, forwarded some information to  
Detective Sergeant Adam Phillips of the Strike  
Force Toronto Penrith police station and

attached the lightning data searches. You've got copies of those in front of you?

A. That's correct, I have copies here.

5 MR LASRY: For the transcript, your Worship, I should indicate that the document I'm referring to is [SNP.AFP.0013.0154] and following. Perhaps before going to that letter I'll just take you across a couple of pages to the lightning data search at 0156, 157, 0158, 0159, 10 0160. There are lightning data searches for particular areas. If I can take you first of all to the witness which is described as McIntyre. You'll have the equivalent page in 15 front of you, Mr Tycehurst. It's the one on the screen.

A. Yes.

20 Q. There are two diagrams on that page and they're perhaps self-evident. One is the area view which shows the broader area. That's the one just scrolling down now. The broader area of the storm activity and the period that we're referring to is in a two-day period between 25 11am on 7 January and about just before 11am on 9 January, but it's clear, is it not, that this activity is occurring on the afternoon of 8 January?

30 A. Yes, further down there are actually times of the strokes detected.

35 Q. So there's the general area, which includes the outline of the ACT border, and then we come down to the zoom view, as it's called in the document, and in the centre of the circle is a much smaller circle. Is that the grid reference point?

40 A. That would be the grid reference point that we've given.

45 Q. And in that circle, as far as I'm aware, there's only one dot which represents a lightning strike?

A. It's close. In fact, the one on the screen is slightly different than the one that

I have in the copy that you got this morning. That's showing a 5 kilometre radius. This is obviously a larger radius. This one is probably a 20-kilometre radius or a little greater. I notice on there that's one stroke that says 540 metres. That's the one closer to that reference point.

Q. Sorry, just say that again, if you wouldn't mind.

A. The lightning strike closest to the reference point is the stroke there that's 541 metres from that point.

Q. Yes. Just looking at that table underneath, what the table tells you, just going across, is the date on which the lightning strike occurred, the time that it's been recorded down to microseconds?

A. Microseconds.

Q. The latitude and longitude; is that correct?

A. That's correct.

Q. In effect, the strength of the lightning strike which is measured in amps?

A. Amplitude, yes, thousands of amps.

Q. And then finally the distance, and that's the distance from the reference point?

A. The reference point in kilometres.

Q. In kilometres, right. So there are a number of lightning strikes between, as this chart shows, 3.10 and 4.05 on that afternoon. Most of them - all of them bar one are in excess of 11 kilometres away. The second one is 11.169 kilometres. Others are of the order of 16, 19, 20. The third last one is a lightning strike on 8 January at what is 3.41pm, and it's within 541 metres?

A. That's correct.

Q. And you would deduce, wouldn't you, that

that's the only strike close to the reference point?

A. Correct.

5 Q. And it's for others to conclude whether or not that was the strike that caused the fire?

A. Sure.

10 Q. But it's certainly the only strike in the area as far as you can see?

A. We can just show that in the weather with our assisted detected lightning.

15 THE CORONER: It's the third last from the bottom.

MR LASRY: Correct. 0.541, that's 541 metres.

A. That's right.

20 Q. If we go over the page, which is 0157, this is the Bendora page. We follow the same broad process where you have an area view which shows generally the area and each time that is shown the number of lightning strikes in the  
25 broad vicinity are shown. Coming down to the Bendora area, you have then given a grid reference point again which is the centre of that circle. The zoom view appears to show only one lightning strike, and if we look at  
30 the table, it appears that that lightning strike is - the one at the top of the list occurring at a bit after 3.10 on 8 January at a particular latitude and longitude and it's  
35 2.707 kilometres away from the reference point; is that correct?

A. That's correct.

40 Q. Going over the page, Broken Cart, which is fire which commenced in New South Wales, the information that you've been able to provide there, going straight to the zoom view in relation to this one further down the page, there are in fact, as the diagram shows, four  
45 lightning strikes within the radius, described on the map. And you can work out obviously

from the chart which are closest to the Centrepoint. But several of them are within two, three or four kilometres?

A. That's correct.

5

Q. Likewise, for Mount Morgan, the fire started there, the same process applies but in that case I think, again going straight to the zoom view, there's only one fire - only one lightning strike, I'm sorry, within close distance of the reference point, which is the second last one, at about 2.48pm on 8 January, and that's within 1.967 kilometres. That's the second last entry on that page.

10

15

A. That's correct.

Q. The last two are Stockyard and Gingera. Again, the likely - the closest lightning strike to the reference point you were given for Stockyard is the only one shown on the zoom view diagram at 3.38 kilometres?

20

A. That's correct.

Q. There is another one at 5.307, which would put it just outside that circle, I suspect; is that right, Mr Tycehurst?

25

A. That's correct.

Q. But otherwise, they're some distance away. And finally, in the case of the Gingera fire, again there's one lightning strike shown within 1.27 kilometres of the reference point on the zoom view.

30

A. That's correct. .

35

Q. That information you summarised in the letter from Mr Prendergast to Detective Sergeant Phillips and, as far as you know, his summary in that letter is true and correct and does reflect the records kept by Kattron; is that also correct?

40

A. That's correct.

MR LASRY: Thank you, Mr Tycehurst. There might be a question from others.

45

THE CORONER: Mr Johnson, any questions?

MR JOHNSON: No, thank you, your Worship.

5 THE CORONER: Mr Stitt, any questions?

MR STITT: Your Worship, I wasn't aware that  
this witness was to be called and I wasn't  
aware that he was to be interposed. I don't  
10 imagine that I've got any questions but I'd  
like to have the opportunity to look at the  
documents, which all of this has just taken me  
by surprise. I don't know that there's  
anything at this stage, and I certainly don't  
15 want to inconvenience this witness, but it  
could it be on the basis that, if there is  
something, that I would tell Mr Lasry and we  
can perhaps deal with it then? If I could just  
reserve my position.

20 THE CORONER: I don't know what Mr Tycehurst's  
commitments are for today, but you'll be in a  
position to --

25 MR LASRY: He's certainly in the area for at  
least the remainder of the parliamentary  
sittings. So my learned friend is quite right,  
your Worship. I did mention to Mr Johnson, but  
I hadn't had a chance to tell my learned  
30 friends that he was to be interposed and, if  
there's an issue that arises, I'm sure we can  
arrange to bring him back.

THE CORONER: That would be convenient to you  
35 as well, Mr Tycehurst, if there was an issue  
and you did need to come back briefly?

A. It would depend what I could organise  
within my web.

40 MR LASRY: There was one other matter that I was  
asked to raise, and I'll raise it as best I  
can.

45 Q. Mr Tycehurst, in your measurement of

.CF154/2003 13.10.03 P-380  
(c) WordWave Int'l

K.V. TYCEHURST X  
MR LASRY

distance and so on, is there, as far as you're aware, a built-in margin of error or an allowable margin of error?

5 A. Generally, we would say the system is accurate to within 500 metres. We have had experiences where we've had what we call a ground tooth, a known point of reference. We've had that down to probably 80 metres has been the closest we've detected from an  
10 incident on the ground and an actual system stroke. But generally we would say it's better than 500 metres.

15 MR LASRY: Yes, thank you, your Worship.

THE CORONER: Mr Begbie, I didn't ask you?

20 MR BEGBIE: No, I have no questions, your Worship.

THE CORONER: Thank you, Mr Tycehurst. You're free to leave for the time being, thank you.

25 <THE WITNESS WITHDREW

MR LASRY: Your Worship, I'll recall Mr Cheney.

<MR NOEL PHILLIP CHENEY, RESWORN

30 <EXAMINATION-IN-CHIEF BY MR LASRY CONTINUING:

MR LASRY: I don't mean to be so rude, but would you mind not sitting down, Mr Cheney. I'd ask you to go to the screen. I'm told, Mr Cheney,  
35 that, in order to make sure that your voice is better recorded than it was last week, there's a mobile microphone there. If you wouldn't mind just - I think there's an "on" switch. Just clip the microphone to you. I'll stay  
40 seated, your Worship.

Mr Cheney, I think on Friday we had - I think we actually reached or dealt with Wednesday, 15  
45 January, if I'm correct about that, and we were about to embark on Thursday, the 16th, in

relevance to the McIntyre's Hut fire.

A. Yes, I think - I can't remember whether we showed - was that the last one we showed.

5 There is just one more photograph, which was just upslope above Doctor's Flat Road, which indicates the intensity of the fire in short runs burning upslope.

10 The significance of that I think was discussed on the 16th. That's the next slide. By 2000 hours, the burning out operation from the edge of the control lines had been completed and the fires that had made short upslope runs from Doctor's Flat up this ridge and now had crossed  
15 over the ridge and run along there and were then burning downslope relatively slowly into this section, Mountain Creek. So although the containment line had been completed around the southern and eastern and northern ends of the  
20 fire, there still remained substantial area to burn out overnight. This progressed slowly overnight as things were getting a little bit drier.

25 The next slide, please. By 9 o'clock on 17 January, there remained about 1,260 hectares remaining in that unburnt area. That's a figure calculated for me over the weekend.

30 Q. Can I just interrupt you there. I'm just looking at page 20 of your report. I just want to refer to an opinion that you expressed. I'll read it to you. You don't need to turn it up. You say, as at 16 January:

35 In my opinion, the construction of containment lines and the burning out operations had proceeded too slowly to allow sufficient time to complete  
40 burning out large areas of unburnt fuel within the containment line. At this stage the only option left to the incident controller was to undertake judicious aerial ignition late in the  
45 evening with spot fires placed around

the westerly aspects so that these fires would link up overnight without creating too much convective interaction. I believe that if the agencies had been trained in, and practised, precision prescribed burning using aerial emission they could have conducted this operation safely before the containment lines had been back burnt. The lack of aerial ignition experience meant that the operation was delayed until all the following day when the weather conditions were unsuitable.

That's a comment made that I think is by you relevant to the overnight period between the 16th and 17th. Could you just explain how the precision aerial ignition would have worked as you would see it, this problem you just referred to?

A. Could I go briefly back to the other slide? If you just look at the increment of the perimeter, if you flip forward, see it has advanced maybe 200 metres in the overnight period, almost all around the perimeter. Now, basically overnight that was indicating that conditions were going to burn on all aspects, but the rate of spread was going to be slow. If you were calculating out using the prescribed burning guides, which would work quite well under these conditions, you could work out just how far the overnight spread was going to be, which would then allow you to say what the ignition spacing was you needed to use to ensure that that area was burnt out.

If we can just go back again, so it would require really taking advantage of upslope runs and placing incendiaries towards the bottom of the ridges and filling out and basically ensuring that those had a run from up towards the top of the local ridges because they weren't going to go far across them, but they would overnight make a run from the bottom up

to the top of the ridge, and essentially that could have been put in - well, operationally, it would be a task to put it in, probably using helicopters, fixed wing aircraft would be a bit  
5 risky in that area, and take advantage of the overnight burning conditions to complete the operation.

10 Q. What's the problem with leaving that area unburnt overnight? What's the consequence of not having done that?

A. The time is too short and you're still aiming to put sufficient incendiaries in to burn it out. As well as going into the more  
15 severe conditions that were forecast for the 17th, if the spacing is too close, then those spot fires will interact with each other and create even under relatively low wind conditions a sufficient convection column to  
20 carry fire brands from this area and throw these spot fires down, outside downwind.

Q. All right, thank you. Can you go forward to the next one.

25 A. Now, I believe the aerial ignition program did start around 1100 hours and then was - it ceased at 1345 because the conditions became too hot. While I don't know where these spot fires came from, I believe it was reported  
30 around 1400 hours that there were starting to get spot fires into the Dingo Dell area in that vicinity. That spotting distance is approximately - between approximately two kilometres from there to there, which is not an  
35 excessive distance for spot fires to occur under those conditions.

It didn't really matter that, if they hadn't have done the operation, it probably - sooner  
40 or later part of this edge during the 17th would have burnt down on to these westerly facing aspects and then even a single one, which would be similar to the origins of the McIntyre's fire on the first day, making an  
45 upslope run over one of these gorges, had the

capacity to throw spot fires up to six kilometres under those conditions. So they were between a rock and a hard place about what they could do.

5

The spots that occurred in the afternoon could not be contained and the fire then later on in the afternoon started to proceed along that creek line under the predominantly westerly wind, and, by about 1800 or 1900 hours, had burnt out on to the grasslands which - in the vicinity here under the Powerline, so we ended up out of the forest and into the grassland at about that point.

15

I think the next slide shows the spread up to about 2400 hours when I mapped it, but these spot fires that are indicated here had occurred earlier and were being controlled by a combination of forces, mostly large tankers operating in the grassland and supported by helicopter attack in that area.

20

The next slide is taken - can we just go back there. This was taken from a point here and looking across towards the transmission line. It just indicates the fire burning out of the timber country and throwing spot fires into grasslands where the Rural Fire Service tankers are able to start to bring the edge under control in the grassland.

25

30

Although they were able to suppress the fire in the grassland, the fire continued to burn overnight, and my next map is an aerial photo interpretation of the limited green ground. I identify it as being within the limits of slowing burning overnight spread and the position of the fire at around about 0800 when the weather conditions started to deteriorate and fire intensities increased, leading to fully scorched grounds.

35

40

The fire has burnt over this ridge here, which is a ridge called - it has a trail on it called

45

Gengis trail, and I think some witnesses from Uriarra may refer to that later if they're called, but it's the prominent ridge that you can see from Uriarra, and they certainly saw  
5 fire coming there overnight and, by 8 o'clock in the morning, it had burnt down into the top end of the Uriarra pine plantation, which actually extends a little outside the ACT border.

10

Overnight or late on the 17th, there was a breakaway in the vicinity of McIntyre's Hut across the Goodradigbee River in an area somewhere around about there. In the report on  
15 page 22, I've suggested in that report that that breakaway happened some time on the morning of the 18th, but in fact information that has come to me - I had some photographs of it delivered to me before midday on the 18th,  
20 which shows that that has been well and truly established. An examination of the aerial photos does indicate there's a patch of green crown at the base of the slopes there in that area, which suggests that that could well be  
25 the roundabout location that the fire spotted across the river.

Q. On page 22 of your report, you originally offer the view that some time around 1200 hours  
30 the western edge of the fire broke away across the Goodradigbee River, so it's well before that in fact?

A. It's well before that. The photographs taken from Sandy Flat, which is about there,  
35 and looking northwards up the river, suggest that the fire - this part of the fire has a perimeter down the ridge - I should rub that out there - the photograph suggests it was down the ridge there and examination of the  
40 intensity of the fire from the damage to the trees suggest that that had been burning upslope quite severely during the morning hours.

45 I would draw in some of this information - I

don't know whether you want to keep some of this extra information or do an amended map at some point.

5 Q. Probably an amended map, Mr Cheney, I think might be helpful at some time in the future. It doesn't have to be done now.

10 A. I just indicate the development of that edge of the fire as well, roughly on just the information.

Now, by 1100 hours, the phone call by the bureau was received, which is the sort of information that will keep coming in as this inquest proceeds. It reported that the fire was active in the Big Hill area, which is Big Hill is one of these hills maybe somewhere here in that area. A later scan on the map indicates that during the morning, perhaps there had been some burning out or lighting fires along Doctor's Flat Road --

Q. By whom?

25 A. I don't know.

Q. Would that be a legitimate fire suppression tactic in those circumstances, assuming it's been done by a fire person?

30 A. It could have been. It could have been done by a brigade in order to prevent the fire moving north of Doctor's Flat Road. It's an unwise tactic, I would have to add, fronting up to a forecast of extreme fire weather and where we would generally advise that you don't light additional fire anywhere under extreme fire danger as more likely than not, even if it's towards the back of the fire, the additional fire will create problems elsewhere downwind. But that's most likely the - you would be able to find evidence of that activity around 1100 hours and later.

By 1300 hours, I think that's the next one --

45 Q. That's a larger view --

A. That's just a larger view of - and the change of scale. I think I'm right in saying that's Big Hill about there. But the activity was south of Doctor's Flat Road that was being described by the person talking to the bureau.

I'll take the next one, thanks. By 1300 hours, it had burnt into the hills at the back of Uriarra. This is an interpretation based on comments and, I'd have to say, it's pretty rough, and particularly in this area here because I don't really know what went on in that area at what time.

The subsequent data was built up by segments of lines scanned. The fire was now so big and the conditions aloft were so rough that the aircraft was unable to take in the whole of the fire area in a single flight, and so it then flew between 1430 and 1530 a number of flights more or less north-south across the fire area and we needed to separate those out. They had been compacted altogether to make one image, but we needed to separate them out to identify different portions of fire spread, and so I've used a combination of the line scan imagery, where it was available, and interpolation to other data where I had observations either from video taken from Mount Stromlo or from records reported on the ESB log as far as I could identify them.

At 1300 hours, this fire which had broke away in the vicinity of McIntyre's Hut was burning down on the western side of the Goodradigbee River and had probably got into - towards the - the cut-off trail had come down from the Powerline. This fire was burning - it burnt - throwing spot fires across the grasslands to the north of Uriarra and was starting to - preparing to make a run from behind Uriarra Homestead, which is here, and across the grasslands as the wind strength was increasing.

The next slide - largely interpreted from video

evidence taken from Mount Stromlo, this fire had penetrated into this part of the Uriarra pine plantation to the west of the Murrumbidgee River. From a later scan, there was evidence  
5 that there was a fire breaking out in this area, which was producing another tongue of fire which was running down here, so we have - and this is running in several tongues because the fire front was broken up by the nature of  
10 the grassland.

The fire at the back here was continuing down and it probably started to get beyond the containment area and then be influenced by the  
15 westerly wind across there.

Q. Would there have been any containment area that would have - there was no containment area for that fire that broke away? So the  
20 containment area that you're referring to that it burnt past was that original south-western containment area, was it?

A. It was basically the burnt out area that had been burnt in the previous 10 days. There  
25 was no other action possible on that fire under those conditions.

Q. And do you know from the information that you've looked at whether that fire that burnt  
30 away from the west of the McIntyre's fire was effectively burning under control? Was there any response to that fire?

A. There was certainly sort of firefighting resources in Sandy Flat and people were  
35 evacuated from the flat during the morning, certainly before midday, but there was no possibility of taking direct suppression action on it. The fire was too intense, and I would accept that.

40  
The indication - this part of the information - no, that's an interpolation factor. It's probably the next slide. I know that this was part of the - it was taken from line scan  
45 imagery in a belt somewhere across like that.

So I had details of a fair bit of the frontal movement of the fire from line scan to do this up. This little telltale burning out back along the road in the direction of the wind suggests that someone was lighting it up in that area or had been lighting it up for some time perhaps.

I suspect it probably contributed to extension of the spread in that area because one of the difficulties in doing that operation under extreme conditions is knowing where your fire is going to and, in fact, even knowing what the prevailing wind direction is when you're on the ground, and people there may well have thought that the wind was from the north because it was being sucked in to fire activity further south, but the fire eventually will travel in the direction of the prevailing wind and this north-westerly was very strong and all parts of this fire were travelling in a north-westerly direction.

By 1430, this area had probably - can I have a red pen, please? It probably burnt somewhere in that area and was now starting to make a run over Webbs Ridge and down into Flea Creek, which is this creek line here.

At 1430 hours - and you'll see the video from Mount Stromlo later on - but the fire had crossed the river and had also thrown a spot fire into the Stromlo pines in the vicinity underneath Stromlo, underneath Mount Stromlo. At that time, the crew were asked to leave Mount Stromlo by the police that were patrolling the area.

Q. One of the points that you make in your report is that the pasture country between the Murrumbidgee and Mount Stromlo had been eaten out and that one of the consequences of the eaten out condition is that it fragments the drier head; is that right?

A. That's correct. There were incidents

initially when the spot fires were coming out,  
there were observations that the spot fires  
were tending to light up along the ungrazed  
roadside verge of Uriarra Road and there was  
5 also a spot fire into the Molonglo River, which  
is this one, near the water treatment works.  
That was one of the early spot fires. I suspect  
that one probably had to come from a run of  
fire in this area, rather than the main part of  
10 the fire, which was further south. But you can  
see that in patches the scan suggests that it's  
broken up. It's tended to stick along the road  
there and it was held up in places, looking at  
the line scan, which subsequently narrowed this  
15 part of the fire before it got into the Stromlo  
pines.

At 1500 hours - and I think that's the next one  
- the line scan imagery now tends to be back in  
20 this area because we now have the line scan  
image which details the development of this  
fire, which has burnt down the river past the  
burn-out area of the previous day, and was now  
starting to make a very rapid run over the  
25 Webbs Ridge, across Flea Creek, now crossed  
over just to the south of Mount Coree and at  
this point is down to the arboretum and  
Blundells Farm. The multiple line scan imagery  
did show that the unrestricted spread of the  
30 flank fires was really relatively slow in  
comparison to the spread and they tended to  
remain parallel unless there was a separate  
head fire created that run down the flank fire.

This part of the fire had burnt up over Stromlo  
and engulfed the observatory area, and it was  
now burning on the slope, on the eastern slopes  
of Mount Stromlo. There's also evidence I  
think to be shown that, at this point - and  
40 this is just an interpretation, mostly in data  
from around the Stromlo area - that there was  
another run here, making a run up the ungrazed  
area of the Molonglo River corridor, and which  
essentially would be running parallel to this  
45 and had the potential to threaten Black

Mountain.

Q. And is that the fire which, in a sense,  
was affected by the fire which had occurred in  
5 December 2001? Is that the same area, the same  
broad area, where that fire had been?

A. I think that probably the previous fire  
was roughly - it may not have been quite that  
far north, but it was roughly in an area here,  
10 and I think that fire affected both this fire  
and the one coming up the corridor. Certainly  
had that still been sort of standing  
12-year-old pines, it would have made an  
intense run through there and threatened other  
15 parts of Canberra.

I think the next is taken at around 1500 hours  
from Mount Taylor, which is to the northern  
side of the ACT and is the high flames burning  
20 up the western slopes of Mount Stromlo. The  
time there is very approximate, but by the  
analysis I'd say it's probably just before 1500  
hours on Mount Stromlo, about the time the  
observatories were engulfed.

25 The next - could I just go back to 1500 hours.  
At about this time, there was another spot fire  
recorded in the vicinity of the Uriarra  
Crossing road and the Cotter Road at about the  
30 picnic area there. There were probably many  
more close in, but that was one of the most  
furtherest distanced ones.

The next slide and then the next, thanks. The  
35 main head fire came through Uriarra to the rest  
settlement and just to the east of the junction  
between Warragamba and Eucumbene Drive, the  
spot fire was that was reported was probably  
influenced and pulled around and, as happens in  
40 these cases, often spot fires don't advance  
because they're largely blocked by the wind of  
the advancing - the wind of - the advancing  
fire blocks the wind and creates a circulation  
around it, so the spot fire didn't appear to  
45 travel independently and probably reached -

probably merged just behind Stromlo settlement.

At 1515, this fire is making a very intense and very rapid run now through the Uriarra pine plantations. And the next please. At 1530, it's reported to have reached Pierce's Creek while the flanks of this fire, which was now the main head fire into this area of Duffy, but the flanks now were expanding relatively slowly, and generally we observed that the worst damage occurs on the point of contact where the head fire is put through, and then - although conditions are considerably unpleasant, lesser damage occurs as the flank fires expand because the intensity is very much reduced.

The next. This was the last time of interpretation that I made. The fire has now really pushed through and probably crossed the Murrumbidgee River. This is an interpolation. I believe I have an observation here and I have an observation at 1600 over the back of Arrawang, and that is about halfway in between. There is really quite a consistent high-speed rate of spread of around about 20 kilometres per hour, and I'll discuss later how that's induced by the interaction between this fire and the Bendora fire further south.

The next I think are just some close-ups into --

Q. Just before you leave that one, I'm not sure if it's now appropriate to just place it on the map, but you also in your report at page 23 refer to the tornado which started, as you say, in the lead of a hill called Sugar Loaf in Pierce's Creek plantation. You can see where that is on the map, and cut a swathe through the plantation between 150 and 200 metres wide from Sugar Loaf to the Bullen Range above the Murrumbidgee River. That's reasonably clear from that map, isn't it? You might just describe on there what that path was?

A. Sugar Loaf is in the vicinity, just here, just to the south of Pierce's Creek, and the general track of the tornado came through here, up, and lifted off the Bullen Range about here, came back down into Fairvale and then tracked more or less across here, into the back of Duffy, into Chapman and around there and lifted off to the suburbs of Duffy, and that's a very rough path of the fire. Both the observations from the blowing timber and the observations on video taken from Kambah indicated that that was sitting just in front of the head of this fire coming through, and the flames were being drawn at high intensity behind it and burning extremely rapidly, so its movement was probably associated with the whole process of that fire being drawn through between two other fires.

I think the next one is just a little more detail. At 1430, the spot fire on Mount Stromlo was somewhere in there and the fragmentation across the river and in the grasslands is a little more obvious there and the next one - we'll just run through these quickly - over up Mount Stromlo, just a generalised interpretation. Another spot fire was up here in this area.

This is about the time that the Channel 9 video starts, and you can get a glimpse if you're quick, when we show up the position of the fire on the back of Mount Stromlo, coming over the ridge and behind. The video was taken from here and indicates the fire flashes beyond that ridge.

The next one. And the fire sort of impinged in this area and then, although the wind was blowing in this direction, the lateral spread was relatively slow, and you'll see that in the video when they make a number of passes. In fact, this progression to the south and to the east was not very rapid.

The next one I think is 1530. This is filled

in down out at almost Hindmarsh Drive, and by  
1545 pushed down past Hindmarsh Drive, and this  
fire is now pushing through at a great rate  
from the west. By 1600 hours, in the next 15  
5 minute the whole of some 12 kilometres or so of  
perimeter between Hindmarsh Drive, which is  
here, and Woodcock Drive in Gordon was hit at  
much about the same time. At this time, of  
course, it was very dark, very chaotic, very  
10 difficult for people to see.

I think we now go on to the Bendora fire.

Q. Yes.

15 A. The radio logs on the Bendora fire suggest  
that the lightning was observed in the area of  
- from Mount Tennent around 1515 hours. I  
think the Kattron data indicates there were  
strikes in the area of Bendora around 1511 or  
20 1512. The helicopter confirmed the location of  
the fire at 1602. The first slide I have is a  
photograph taken from Mount Coree and it was  
looking south, whereas previously at McIntyre's  
we were looking almost due north. We're  
25 looking almost due south and we have the  
Bendora fire and the Stockyard fire further  
over.

These fires came on the eastern slopes of the  
30 Brindabella Range and so they weren't exposed  
to the same wind force as was the McIntyre's  
fire and so you'll see that their development  
was very much slower. The firefighting  
resources at this time, I believe, have already  
35 arrived at the fire.

Q. That's at about 6.37pm on the night of the  
8th or in the afternoon of the 8th, that  
photograph?

40 A. That photograph is at 6.37, yes, from  
Mount Coree.

Q. If we can go to the next slide, the start  
of the fire was somewhere in that vicinity. I  
45 could not identify a clear tree that had been

obviously hit by lightning. In an area that I visited here about two months later, there was an area where the trees had been killed in about a 20-metre radius circle, which is often a characteristic after lightning strikes, that the discharge of energy through the surface ground kills all the roots and the trees are killed. But that's about the only evidence that I could find which put it in consistent with the observations of the firefighters who first arrived, giving a pretty slow rate of spread.

The prevailing wind is just westerly or a little bit to the south of west and this range plus also the range of the Bendora Break is protecting that fire from the direct impact of the wind and wind conditions, when firefighters arrived, were reported to be fairly calm, and there was probably a light heady wind that was pushing the fire upslope in the opposite direction or more or less the opposite direction to the prevailing wind.

This indicates the mapped recorded condition of the roads, largely indicated as two-wheel drive. This is two-wheel drive downhill, if you're game, but it's four-wheel drive and it was not maintained, so this actually had been closed off at the ends and allowed to overgrow.

This was an overgrown road. It was a break that had been pushed in in 1979 when CSIRO did some fuel reduction burning in this area. There was a catchment experiment which occupied that watershed as an experiment, or catchment in that area, and the surrounding - the experiment was to cut off the transpiration of the pool of vegetation by burning with a scorching fire in the middle of February, and so, to allow that to be carried out safely, we had prescribe burnt an area roughly bounded by that creek, Warks Road and this break through here. So this area had been burnt probably December '78 into early January '79. This

experiment was carried out in mid-February '79.

5 So this road, in fact, had been allowed to  
overgrow and it wasn't a strategic road, but it  
was there and could have been relatively easily  
opened up. This track is an old logging road.  
Cliff Stephens, one of the early firefighters,  
knew about it and went down to see if he could  
10 open it up to get to a water point somewhere  
there. The other roads are this one and this  
one. They're reasonable two-wheel drive, which  
were narrow roads, but accessible.

15 Firefighters attended and withdrew around about  
2100 hours. The condition of the fire at 2100  
hours is shown in this slide. The area was  
around about 4.5 hectares, and the condition of  
the fire is illustrated in the next photograph.  
The next photograph is taken from this point  
20 here at the base just off Wombat Road.

The surface flames are reported to be half a  
metre or less, but the fires running up the  
fibrous bark, the alpine ash, and burning quite  
25 brightly - and the ash normally also have a  
fairly heavy accumulation of exfoliated bark  
accumulated around the bark - so the intensest  
parts of the fire are usually at the base of  
the trees and they run up the fibrous bark.  
30

The observations from the firefighters were  
that the fire was, at least in this part of it,  
drawing in, as you would expect with both the  
35 convective activity within the fire area and  
this being the eastern edge, that eddy wind  
that would tend to pull the fire upslope a  
little bit. Elsewhere, there may have been some  
southerly wind influence coming in on this fire  
40 as well. There wasn't any - that wasn't  
recorded.

Pulling out of the fire overnight, I believe,  
lost a really valuable opportunity to bring  
45 this fire under control. The resources that  
were there, which were two large tankers and a

couple of light units, probably wouldn't have been able to control the fire, but they should have been able to make a fairly substantial start on the control.

5

Q. That would have involved crews remaining overnight?

A. Oh, very definitely, yes. I mean, they were just starting to work, I understand, when they were withdrawn and, although it's difficult firefighting - and eventually I believe you would need in those fuels to bring a bulldozer in to bring it under control - they could have done quite a lot of work and controlled at least one of the perimeters up to Bendora break, if not both of them, with water and hose lines, but they may not have been able to get it fully mopped up because of the large amount of log material. And so, even though they had controlled it, it would be difficult to keep under control when conditions warmed up the following day.

Q. Can we just go back to the previous slide, I think, just for the purpose of indicating where you would have thought it was appropriate for crews to work overnight on that containment.

A. Because the Bendora break wasn't open and wasn't accessible, it made it difficult for the tankers to get in, so they had to get in from bottom. That's the safest part to attack it. And, by and large, they would be trying to contain the spread on both sides of the fire as it burnt upslope towards the Bendora Break. Whether or not they had the resources or the capacity in terms of hose lay to go right to the top, I don't know. It is possible to do that, but --

40

Q. What would be the distance between the point you were working from off the road there to the head of the fire as at 9 o'clock at night? How far would that be?

A. From here to here would be between 200 and

45

300 metres. The next slide please --

5 Q. Just before we leave that, there's probably an issue that arises in relation to working overnight. I've asked you questions about this a bit earlier, but you have said that there are some dangers in crews working in fires such as this one overnight. What do you say about the relative dangers of the fires as opposed to the benefits of some control?

10 A. This area was alpine ash and had been regenerated in 1926 and so there was still some large old stags which were remnants of the original forest around. These undoubtedly would burn out and fall down overnight. They would have to be identified and firefighters kept clear of them. Usually this is done by taping off areas.

20 The tall forest trees contain dead branch material in it and the fire running out would burn out branches aloft and, probably within 30 minutes of the fire burning past a tree, there's potential for branches to fall out of it. It's rugged, rough terrain, so it's difficult to walk. There's a risk of injury from twisting ankles but, in many respects, that's the easiest your firefighting is ever going to get.

30 Q. On the first night?

35 A. On the first night. The area, because it had been prescribe burnt some 20 years earlier, although the fine fuels had burnt up, this particular part of the area north of Wombat Road was less hazardous than the areas which were unburnt to the south of Wombat Road. So in relative terms, the hazard had been reduced a little bit in these areas. Not enough to - after 20 years it would just make a small bit of difference to the effort required for firefighting and a small margin of safety over areas that had been urn burnt for a longer time.

45

MR LASRY: Is that a convenient time, your  
Worship.

5 THE CORONER: Yes. We'll take the morning  
adjournment.

ADJOURNED [11.20am]

10 RESUMED [11.43am]

MR LASRY: Your Worship, can I just raise a  
transcript correction. In relation to  
Mr Cheney's evidence earlier this morning, I  
was reading to him from a portion of his  
15 report, and the passage that I read included a  
section which commences on page 20 of his  
report. The particular sentence says:

20 "The lack of aerial ignition experience  
meant that the operation was delayed  
until all the following day when the  
weather conditions were unsuitable."

25 I understood that Mr Cheney was, in effect,  
saying - it was in the context of him saying  
that the aerial ignition should have been  
conducted overnight rather than the following  
day when the weather was getting worse. When I  
30 read that passage, it appeared in the realtime  
transcript as saying "...until the following  
day when the weather conditions were suitable."  
It is important that that be corrected. I am  
not sure of the page of the realtime  
35 transcript, but I'm sure the operators will be  
able to find it and make the correction.

THE CORONER: The report in any event  
definitely says 'unsuitable', and that's  
40 certainly your opinion, Mr Cheney, that the  
conditions were unsuitable.

MR LASRY: Thank you, your Worship. I will  
resume my seat and we will go back to the  
45 Bendora fire.

.CF154/2003 13.10.03 P-400  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

Q. I just wanted to ask - we're dealing with, in effect, the period late on 8 January, and I think just before the break you'd been articulating some of the dangers of  
5 firefighting in this area and you referred to the roughness of the terrain and falling branches and so on. Are those risks more particularly pronounced at night? They are obviously dangers that are there during the day  
10 as well, but is it more dangerous at night to conduct this sort of operation you're suggesting should have been conducted?

A. Not necessarily for some of the hazards. I mean, obviously lack of visibility of where  
15 you're walking and obstructions on the ground are more difficult to see at night, particularly once you're outside the light of the fire itself.

20 Q. Yes.

A. The fire does illuminate the ground where you're working fairly well. In terms of seeing whether trees are alight high up in the trees, sometime's that's clearer at night because you  
25 can see it's burning high up in the trees, but that's not necessarily more dangerous than during the day when the burning in the tree is not visible and all you can see is smoke coming from it.

30 Q. Yes. Firefighting in forest areas like this overnight, is that an unusual thing to occur, given your experience and knowledge of the history of firefighting?

35 A. It certainly was not in the past, in my experience. When I was doing more active firefighting, it was mostly done at night in areas like this.

40 Q. And you referred earlier in the earlier presentation to the Pago fire in 1972. Had there been an overnight firefight in the course of suppressing that fire?

45 A. It was almost all done overnight, starting around 8 o'clock when bulldozers started

working both in direct attack and indirect attack. But if you're using machinery, it does mean that they're well equipped with lights. When they're working both close to the fire and  
5 away from it, if you're doing more indirect attack and even for clearing out established breaks and roads, you'll want lights fitted to the bulldozers, and that's normally done.

10 Q. Thank you. Now, before I asked you those questions before, you were about to go to the next slide, which is 9 January, just before 3 o'clock in the afternoon.

15 A. Suppression forces were sent to this fire in the morning of 9 January and they first attempted in the morning to control the southern edge of the fire, which I don't know exactly where it was, but it would have been  
20 somewhere in this vicinity in here. They were withdrawn from that action and they opened up the Bendora Break by hand, I presume. From the statements of the firefighters, they had to slash material off that break so they could get a tanker up to the top to try to stop it going  
25 across the Bendora Break. But they were successful at doing that and then they came back and attempted to stop the road fire from going eastward along that road, and they were unsuccessful in that.

30 The fire was affected both by the south-easterly wind, which was pushing it up the slope, and later on in the afternoon came under a more easterly wind, which tended to  
35 push the fire up this ridge towards a high point, which is about here, and towards the green square, which is the Bendora arboretum plantation of exotic trees that was put in in the 1920s for testing trees in forestry around  
40 Canberra.

The firefighters were withdrawn in the evening. There are a couple of photographs. The first is taken from about this point at around 8 o'clock  
45 in the evening, the fire in the afternoon and

the easterly advanced further up, and later on there was a photograph taken from Mount Franklin Road looking across this flank on the northern side of the Bendora Break.

5

Q. Are they the next two slides, those photographs?

10 A. Yes. Thanks. This is the fire from the southern flank of the fire, from Wombat Road, in the vicinity of that small track that was overgrown but went up towards the Bendora arboretum.

15 The next slide - this is Wombat Road in the foreground and the fire is burning quite brightly on the ridge and is also burning down across Wombat Road in the vegetation on the eastern side of the road.

20 The third slide is taken from the Mount Franklin Road at about 8.30, and you can see the ridge line of the Bendora Break is through there and the fire is now burning downslope on the northerly aspect of the Bendora Break.

25

Finally, the line scan taken at 2300 hours illustrates the progress of the fire and the photographs were taken in this vicinity off Wombat Road. The fire is now moving with the easterly during the night and has reached the top of the high point above the arboretum. The arboretum is located here and now it's burning downslope towards the arboretum.

30

35 Q. In your report, you express at page 29 the opinion that the fire was, as you put it, "severely underresourced". And you go on to say:

40 The incident controller had effectively one hand tool team or a tanker and light unit. With this team, he was unable to construct a control line and patrol Wombat Road at the same time.

45

Now, pausing there, that control line was where on that diagram?

5 A. I think we need to go back to the previous diagram before the slides, please, John. I don't know exactly, but in the southern flank there's a time that they started - it probably would have been somewhere in that vicinity - to try and hold that southern flank. And the tanker crew and light unit crew, they didn't  
10 have enough people to do any of the jobs that were assigned to them, except perhaps hold the fire from moving across Wombat Road. That would have taken those resources to do that because by this stage there would be trees  
15 falling across Wombat Road, and even though it was a favourable wind direction from the east, there's turbulence which can take spots against the direction of the prevailing wind and, quite likely, there would be trees falling which  
20 would light up the fuels on the eastern side of the road.

So they effectively had attempted to do three  
25 tasks. One was to put an hand tool line in and the second was to try to hold it across on the Bendora Break till a little later and, if the break had been cleared, that probably would have exceeded those resources as well.  
30 The third task, which was probably the only feasible one they could have done with that resource, was hold it on Wombat Road and just ensure that that could be held as a secure control line.

35 Q. In your report you go on to say that the lack of sufficient forces to carry out effective suppression on day two meant fire officers lost two potential control lines on  
40 the Bendora Break and Wombat Road, and you go on to describe that the Bendora Break was overgrown.

A. Yes, we may as well go ahead, John.

45 Q. And as far as you're aware, on the night

of 9 January no firefighting personnel remained with the fire; is that what you understand?

A. That's my understanding. I believe that the first crews were overnight on 10 January.

5

Q. Yes.

A. And 10 January was mostly spent starting to clear some of the trails and protect the Bendora arboretum and put a control line along the ground of the Bendora arboretum.

10

Q. Is there a 10 January slide?

A. Yes, I think that's the next one, which we'll go to. That's 2400 hours on 10 January. The action overnight was primarily to try and hold the fire on the Chalet Road and protect the arboretum and to hold the fire on this section of Warks Road to the east, particularly the far north of the extension of the Bendora Break.

15

20

I understand that there was a flare-up, and at some time in the morning, the fire went across the Chalet Road and most of the effort was to try and hold the fire there and control that kind of fire.

25

Q. In your report you say that on 4 and 10 January the main suppression action was to clear fallen trees from Wombat Road and open up the Bendora Break with a bulldozer and to clear around the Bendora arboretum and to protect the arboretum and Bendora Hut, and you go on to say:

30

35

A RAFT crew attempted to put a rake hoe line around the fire that had crossed the Wombat Road. The RAFT teams that had been working on the Gingera fire was brought back from the Gingera late in the afternoon to assist with the hand line construction east of Wombat Road. This effort was unsuccessful and was abandoned at around 1730 hours.

40

45

A. I don't know where they were working. That's taken off radio log transcripts and statements. Presumably they were trying to work somewhere down along this flank here, or in  
5 here, I don't know. But that was really difficult country down below there for a rake line and the fire is now getting substantial in size.

10 Q. What area is depicted in that slide, approximately?

A. I calculated the previous one was about 100 hectares, and so this is two kilometres by one-half, so it's probably approaching between  
15 300 and 400 hectares.

Q. All right. We'll go to the next slide.

A. This is on 11 January, and it's from Chalet Road where the direct attack was  
20 virtually to try and contain the fire on Chalet Road, and this is upslope, upwind of the fire which is burning below the firefighters. Although the fire intensity initially was not  
25 very high, this is a more dangerous position to be in fighting fire, working around the back of the fire and working up the flanks, because it only requires a breakaway further down the slope and an increase in wind and you can get  
30 quite a sudden surge up the hill. Eventually a flare-up such as this one caused spot fires to go across the road and the firefighting effort on the road had to be abandoned.

The fire then ran up the slope towards the top  
35 of the border break - it's illustrated on the slide after next. The next slide is taken late in the afternoon, which is doing a backburning operation off the border break to try and  
40 contain the spread of the fire which is now moving upslope from Chalet Road, moving towards the west, and now the objective is to try and contain it along the border break.

Q. And that's 5pm on the --

45 A. That's 5pm on 11 January. This fire is

burning up towards this break and also spotted  
across - excuse me - the back burn and the  
Bendora Break, and by 2400 hours on 11 January  
- we'll go to the next one. This was the  
5 border break in the area where they'd put in  
the back-burn along there to try and contain  
the fire moving upslope from Chalet Road, and  
that has spotted across and is now burning on  
the western slopes down towards the Mount  
10 Franklin Road, which is the main access road  
along the ranges.

The other spread of the fire is laterally -  
it's slowly expanding towards the south and  
15 towards the north and occasionally being  
delayed by the creek lines but not held up by  
them, so the creek lines would delay them.  
Sometimes they'd delay them for a couple of  
days, but they were never effective as control  
20 lines.

I'll go to the next slide, John. At 1500 hours,  
this area along the Mount Franklin Road was now  
- a little burning out had been carried out to  
25 try and secure that. They were looking to put  
in a break somewhere between the border fire  
break, which is the pink, and cut that off down  
to the Mount Franklin Road. The southern part  
30 of the fire has now crossed the creek and made  
on the sort of drier northerly slopes a fast  
upslope run towards the top of the ridge and  
expanding to the south.

This flank is pushing down into  
35 Bushranger Creek, where it was being slowed  
down by under the easterly wind, was sort of  
burning up in the head waters of the  
Bushrangers Creek, as it was, slowly expanding  
40 northwards. The fire edge had been controlled  
along the north section of Warks Road and to a  
spot over in that creek, which was controlled  
by hand tools.

45 At this time, there were resources stationed  
along Moonlight Hollow Road, which is this one

coming through here, and they were trying to stop the fire from going across Moonlight Hollow Road. Some time after 1500 hours, the easterly wind picked up a little in strength and there were spot fires across in this vicinity and this made a run up Bushrangers Creek and further up over Bushrangers Hill, which is in that area there, and that broke away I think around about 1600 hours.

Q. Just in relation to that area, in your report you say that in your opinion it was obvious that spots would occur across Moonlight Hollow Road, which is the road you were referring to, if the fire intensity increased, which it of course did, but you're critical of the fact that there was no scout place above the road to look out for the spots. What do you mean by that?

A. I think inevitably there would be spots upslope with that prevailing wind direction and those fuels, and normally you would prepare by putting some firefighters up there to essentially pick them up as they occur.

Q. You go on to say the spots that occurred could easily have been put out with hand tools within five minutes of ignition if crews had been in place with suppression and helicopter support, and you conclude by saying that crews are not permitted to work beneath helicopter drops which, if correct, almost completely negates their effectiveness, and you touched on this last week. There had been some emphasis on helicopter drops on this fire, had there, about this point of the procedure?

A. Helicopters were being used to try and cool this portion of the flank as it was approaching the road.

Q. Yes.

A. And, when the spot fires occurred, they were attacked by up to I think four helicopters working on it and drawing water from Bendora Dam, which is otherwise down here. And from my

observations, that just was not effective in  
controlling the spots. The helicopters were  
small. They are useful for supporting hand  
crews but by themselves have very little  
effect.

5

The run up here threw spot fires well down into  
the western slopes of the Brindabella Range. I  
think that's the next one, thanks, John.

10

There was a little run-up through this  
catchment and a number of spot fires - maybe  
more than one, certainly one there and one  
there. This then produced - where it had been  
fought fairly closely, the option now of  
holding it on the Mount Franklin Road or the  
border break had disappeared. We were now  
looking at some fairly indirect firefighting.  
The fire had crossed into New South Wales and  
so that became a task taken on by the Rural  
Fire Service, and we still had the problem of  
trying to contain the southern spread of the  
fire, and I think we might go out to a wider  
one on the next slide.

15

20

25

Q. And we've gone to the next day, Wednesday.

A. The next day, okay. A consolidation of  
effort - the lower part of Bushrangers Creek is  
in fact holding the fire, but this now is  
expanding on the western slopes of the

30

Brindabella Range and, again, as observed on  
the McIntyre's fire, there tends to be faster  
lateral spread on those drier western slopes,  
more exposed to the sun. The other actions - by  
this time, I believe, the Spur down at  
Flat Rock Spur had been opened up and they were  
setting out to do burning out operations from  
Flat Rock Spur.

35

40

We can go to the next slide, thanks, just to  
illustrate graphically where this fire sat in  
relation to Canberra at this point, and a  
couple of the features. Bendora Dam is tucked  
out of view along this three-dimensional view,  
somewhere down in this area. To the east, you

45

have the rugged and inaccessible western slopes  
of the Tidbinbilla Range. The fire had been  
blown from its origin here up over into  
Bushrangers Creek, which is this creek running  
5 down here, and then the last little effort ran  
up over the top of the range and set spot  
fires, which went quite a long way down in the  
terrain, and further downslope than is  
10 illustrated and appears just on the previous  
map.

So the tactic now - there's little chance of  
putting in intermediate trails within this  
15 area, so the tactic is to now burn out from

this trail, which is the Honeysuckle Trail, and  
the Brindabella Road, which is this road up  
here, and to Piccadilly Circus, located about  
there, and along the Mount Franklin Road, that  
20 runs along the top there.

It is important to try and contain this section  
of the fire before the onset of severe westerly  
wind weather, and so now this brings in this  
25 area down Flat Rock Spur to be contained along  
the Bendora Dam Road and tied back up into  
Warks Road in the north-east section of the  
fire.

30 The next photograph is an oblique photo sort of  
looking in this direction, and we're looking at  
this little portion of the fire edge here  
burning into Moonlight Hollow.

35 Next slide. You can see that, although again  
that area is all marked as being burnt, there  
were quite extensive sections of the perimeter  
that in this area down here had gone out in  
Bushrangers Creek or it was being held up at  
40 Bushrangers Creek and not giving a visible  
infra-red image, although it could have still  
been smouldering in logs and controlled around  
the Warks Road back to the Bendora Break.

45 This is just a little section that's burning  
out round the easterly wind which is blowing

the fire into New South Wales. In the background, you can see the long-distance view of the McIntyre's fire, also with the easterly wind blowing the smoke across into New South  
5 Wales.

The next slide, please, John. Again, this is just an expansion out of the previous one which we were looking at, and a few more features  
10 start to come in - Honeysuckle Trail, which New South Wales was going to use as a control line, Flat Rock Spur comes off Longback Road and goes down to Bendora Dam Road, the Bendora Dam located here. The Bendora Dam Road comes up and  
15 around that way.

This is the extension of the Bendora Break down here, and so the tactic now was needed to tie off this section between Mount Franklin Road and Wombat Road, and I think from memory this  
20 is called Parrot Road through here, that one, and close off this section here, which is burning down into Moonlight Hollow and closed off around Gravel Road and perhaps Moonlight  
25 Hollow Road up to Bulls Head.

Q. Approximately, what sort of total area would be occupied by the total of containment lines?

30 A. Now you're pressing me, Lex. Let's say four by four kilometres, 400 hectares - 1,600 hectares, sorry. And the only option to virtually reduce the size is to get it under control on established roads. Thanks, John.

35 Another photo which was tossed in, mostly because it was a lovely photo of the dam, illustrates the rugged terrain on the eastern side of the dam and the eastern side of the  
40 Cotter River, which as soon as a spot fire came under a westerly wind into anywhere on this area, access was extraordinarily difficult and, under a westerly wind under these conditions, unlikely to be contained until it had gone  
45 across the Tidbinbilla Range.

Q. Can you put a date on that photo, or is that not possible?

A. It's 13 January, and I think it's about 1700 hours. The next one is 14 January. A new

5

trail had to be cut down this spur to link up Mount Franklin Road with Wombat Road and with Flat Rock Spur so that we could contain the southern part of the fire. So burning out operations had commenced eastward down the Bendora Break to the Bendora Dam Road on the eastern section of the fire, and earlier in the evening burning out was commenced along Flat Rock Spur Road and that was progressing downslope to the Bendora Road. In New South Wales, crews were gathering to prepare for burning out operations off the Honeysuckle Trail.

10

15

20

Next. By 1613 on 15 January, this track down here had been completed and burning out operations had progressed along the Mount Franklin Road, down this trail, which I think they call the Marty's Trail, and down Flat Rock Spur to Bendora Dam Road, and I'm a little uncertain of the action here, but I think by this time this had been linked up around here. Although most of this was line scanned, this was a section here which was covered in cloud and not clearly visible.

25

30

In New South Wales, this fire was just progressing on the eastern slopes and again doing the same thing as it did as McIntyre, progressing towards the north on the drier ridge lines and starting to fill out that area and, importantly, it was extending past the areas that had been burnt out in the ACT.

35

40

Thanks. By 2400 hours on the 16th, the burning out had come down Honeysuckle Trail to the open grasslands in the bottom of the Brindabella valley. The burning out had gone along here,

45

Warks Road to Gravel Road, and up Moonlight Hollow Road. And, during the afternoon, there

.CF154/2003 13.10.03 P-412  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

had been a breakaway across Moonlight Hollow Road - they pulled up on the Bendora Dam Road, which was a larger, wider road than most, and used a combination of helicopters, bulldozers or direct attack off that road.

Although they were able to stop it from crossing Bendora Dam Road, that meant that this was no longer available as a control line, and a new control line had to be set back along Warks Road to the Bendora Dam Road and then up Bendora Dam Road towards Bulls Head. The burning out operations in the south were pretty successful and the fire was being held and mopped up along Flat Rock Spur and Marty's Spur here.

My next slide - my next map is an illustration which says "Bendora Fire 17 January at 0800 hours". It's actually 18 January at 0800 hours. I'll make that correction when I come to it. This is 17 January at around about 7.20, and you can see here the Bendora fire and two quite distinct columns - one being more active than the other, the one to the north, and another one where it was burning out and around and crossed over and broke away from the junction of Warks Road and Bendora Dam Road.

Perhaps I'd better go back to the other one, which is on the 16th, and discuss the progress on this of what happened on the 17th, because my next slide is the 18th.

In the evening from 1600 hours, this control line was put in along there and this area was burnt out on the morning of the 17th. This was extended further down here and by, say, 17 January at, say, 1400 hours, what had happened was this part of the perimeter - this had probably linked up across here, up on to this ridge, and part of this perimeter had extended further north into the bottom of that creek line to the east of Bulls Head.

45

Late in the afternoon of the 17th, this then made a fairly intense run up the back-burning along here and was stopped at around about I think 11.30, from memory. But late in the afternoon, somewhere around 1500 or 1600 hours, or perhaps a little bit later, this northern part of the fire made a run up this creek line driven by the westerly wind, and then threw spot fires some distance down here and possibly as far as down across the Cotter River.

At around 1530 there was a breakaway somewhere along this section of the road, I think it was near the junction of Gravel Road and Bendora. So the spot fires over here started to roll over with the westerly wind. On 17 January, it was into the very high fire danger conditions and the conditions were quite severe.

Q. I just noticed in your report you refer to the fact that there were some firefighters at Bulls Head during the course of the progress of that fire from the northern edge travelling east that were evacuated. It was obviously a fairly intense fire, was it, as it burnt in that direction?

A. Once this had broken away down to the east of Warks Road and it was obvious that we were getting quite an intense fire from that convection column, which I think it's the next slide, it was prudent to pull firefighters out because they were going to have to see what could be done on the following days.

The next one. We'll make that 18 January. During the day before, this run that we see has now filled out all of this catchment to the west of the Mount Franklin Road between Bulls Head here and Piccadilly Circus, and quite a number of spot fires would have occurred down in that area - a photograph elsewhere of the spot fire sitting up here at around about 1900, and obviously there had to have been spot fires to make this extension of the fire right down into the valley there, and the breakaway from

5 this part of the flank and, once the  
firefighters left, there could well have been  
other breakaways. It filled out this section so  
we had the fire sitting between Mount Franklin  
Road and Cotter River. It burnt up the western  
10 side of the northern part of the Tidbinbilla  
Range and had burnt out into the grasslands out  
in this area where it was being held by  
firefighters in grassland on at least the  
10 northern part of that eastern perimeter.

15 I think that's about where I leave the Bendora  
fire. That's 8 o'clock, and we'll later catch  
up with the development of Bendora fire when it  
broke away later in the day. There were  
breakaways later in the day because this is all  
uncontained edge and few observations because  
it was covered with smoke. You just get some  
20 indication from pieces of line scan - and  
they're only fragments of line scan -  
information taken later on the 18th down in  
this area.

25 It's possible that there was a breakaway down  
in this latter part off Flat Rock Spur later on  
the 17th, but I don't have any real evidence of  
it except from a fire fairly late in the  
afternoon of the 18th in that area.

30 We'll go to the next one.

Q. Your Worship, apparently an issue has  
arisen my learned friends want to raise with me  
35 before we go to this part of the presentation.  
I wonder if your Worship would mind standing  
down for five or 10 minutes or so.

40 THE CORONER: That's fine.

ADJOURNED [12.34PM]

RESUMED [12.47PM]

45 MR LASRY: I might just go to the first slide,  
when you're ready, Mr Cheney.

.CF154/2003 13.10.03 P-415  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

A. The Stockyard Spur fire was believed to be a lightning strike in the vicinity of the Stockyard Spur Trail, which is an old fire trail that sort of ran down Stockyard Spur.  
5 Like the Bendora fire early in the piece, from the 9th, the fire was protected from the prevailing westerly wind by its location down on the eastern aspect, and the reports were that its development was very slow in the  
10 initial stages.

The fire was in an inaccessible location, as we described very early on in the piece, with the difficulty of getting access into this part of  
15 the national park. At the time, I believe that this road was almost completely overgrown. It had not been maintained probably for many years. I'm not aware of the condition either at this road or at this one, but I suspect they  
20 may well also have been allowed to revegetate in those areas.

Q. Now, that fire started or was detected at about 3.30 on the afternoon of 8 January. I  
25 think the evidence is going to show, isn't it, that there wasn't any suppression action taken of that fire on the afternoon of 8 January, other than helicopter, that is?

A. There was one where helicopters were  
30 directed to drop water on it --

Q. Yes.

A. -- early on in the piece. And, in fact, for a helicopter attack it was given priority  
35 over the Bendora fire further north, possibly due to its proximity to Corin Dam, which meant that that return could be fairly rapid. A crew was sent out to it and, as I understand from the tapes that I have looked at, they got to  
40 the Ginini Gates, which I think are somewhere in this vicinity here, and they then set out to - they drove around and couldn't find the Stockyard Spur Trail, and I don't know the reasons for them not finding it, whether they  
45 didn't go far enough or whether it was so

overgrown it wasn't visible, and then thought about walking into it, and decided at that time of night, perhaps around after 6 o'clock, if I refer to my notes --

5

Q. Yes, I think it was. I'm just trying to pick that up.

A. In any event, they decided that the task of walking into it was likely to be too great and they decided that they wouldn't attempt to do a hand line attack on that evening.

Q. Yes. According to your notes, the incident controller decided not to walk his team into the fire and abandoned suppression action at 1915 and returned to Canberra. Is that the specific passage you're referring to on page 40?

A. Yes. The following day --

20

Q. We've dealt with Stockyard but not Gingera.

A. The Gingera fire - and again from the reports of the early statements - appeared to be just inside the ACT, close to where the border is marked there. In this part of the ACT, there is no break at the border, so it's just a line on the map. It also must have been just on the easterly side of the wind because if it had been on the westerly side of the ridge with the prevailing wind after the storm, it could have made a more significant run. So I think the interpretation that it's just on the easterly side of the ridge - and even in that location, the lower high altitude, it would have protected in this eddy wind during the initial stages. The vegetation in the high country is mostly snow gums, and they're not prone to a lot of spotting, although it will produce some spot fires. So it spread really quite slowly in the fields there. I've not been able to inspect that on the ground. That's one fire I haven't gone into on the ground, so my knowledge of it is limited.

45

Q. Before we leave this, in your report you note - and you've given some evidence about this earlier - that the travel time to this part of the ACT is long. Firefighters must  
5 either approach the fire from the Brindabella Road to the north - if you just point out where the Brindabella Road would bring you out from the north.

A. The Brindabella Road is north of the Bendora fire, and you would come down what starts off as the Mount Franklin Road and then continues on and eventually goes down into a place called the Cotter Hut in the south of the ACT.  
10

15 Q. The other alternative you refer to on page 40 of your report is the Orroral Valley Road from the south.

A. From the south. And you would come back in down here and up back along Mount Franklin Road, and, depending on where you start in Canberra, it's six of one, half a dozen of the other.  
20

Q. And you offer the opinion that not only should the Stockyard Spur fire trail have been maintained in a trafficable condition but the fire trail should be linked to the Corin Dam Road. There is a spur with reasonable gradient about one kilometre north of the Corin Dam and, in your opinion, this connection should be constructed in the future. The link would provide rapid access to the mountain country west of the Corin Dam via the Corin Dam Road. I think that's all evident, looking at that map.  
25  
30  
35

You also in that context refer to the policy of locking up fire trails in the Namadgi National Park and suggest that should be reconsidered as regular vehicular access would help to ensure that the trails had been maintained.  
40

A. Yes, that's my opinion.

45 Q. Yes, all right. We'll go to 9 January, then.

5 A. This is the line scan dated 1456 of the Stockyard spot fire. It's mostly expanded from its origin somewhere in this location under a southerly and then upslope pushing it up this part, which is quite a steep rocky slope, towards the west, and firefighting crews were sent in to attempt to control the westerly spread of that fire.

10 Q. And that was a RAFT team, as it appears?  
A. That was a remote area fire team.

15 Q. Arriving about 10 o'clock in the morning?  
A. As I understand, yes.

Q. And, as far as you understand, what tactics did they employ?  
A. From Mr MacNamara's statement when I read it, I had the impression that, when the fire was burning in this area, they stood back some distance from the fire and attempted to construct a fire line somewhere across the front of it.

25 In the discussions we've just had, Mr MacNamara has clarified that they in fact started closer to the fire edge and proceeded, and the distances that he quoted in his statement were the distances between the fire line and fingers of the fire - which, if I may use this as a small diagram over here, if this is the fire, then someone using a rake line will cut off those sections to make the fire line shorter and speed up the operation.

35 He did say, though, that he didn't have the equipment to burn out those sections, and so that still makes it problematical for control, because, if there is a wind shift which takes the fire from this direction to this direction, then these fingers can pick up quite rapidly and the progress through here could easily go across that line, unless there were people on it. And if there were people on it, it's quite a dangerous position to be in because you may

be cut off from getting back on to the burnt ground where you're close to the fire edge. I just add, it's still a legitimate tactic, but I would hope that the progress would be to burn out from your line and hold that - complete this before you moved on to the fire around the edge of the fire.

Q. So on page 42 of your report, on the second photograph, in commenting on these tactics as you originally understood them, that comment now had to be seen in the context of what you've been told by Mr MacNamara at the break we just had and your present understanding of the way in which an attempt was made to contain the fire.

A. Yes, I'd hoped to go up with Mr McNamara sometime beforehand, but we didn't quite make that. If I had made that trip, I would have been better informed.

MR LASRY: Your Worship, would that be a convenient time?

A. Yes, thank you.

ADJOURNED [1.00pm]

RESUMED [2.02pm]

MR LASRY: Mr Cheney, if we could go back to the board, if we could. I think we're at the stage of - if you take your microphone - we're at the stage of dealing with the Gingera fire, I think, on 9 January.

A. The Gingera fire was burning under the sort of south-easterly and was progressing - it progressed into New South Wales on the western side of the border. It was generally burning slowly on this southerly aspect of Mount Gingera. I understand that at about the time the scan was taken, crews came into the back of the Gingera fire, decided that there was not enough of them to do effective break line and construction, and essentially started overnight

to ensure that the fire didn't cross the Mount Franklin Road to the east.

Q. You say in your report at page 43:

5

If they [that is, the fire crews that were at that fire] were properly equipped with rake-hoes, chainsaw and a slasher, I believe the crew could have done some useful hand-line construction from the Mount Franklin Road to the southern edge of the fire, where it was burning downhill in the six or seven hours of daylight available to them. This could have been held overnight and provided a useful start for the RAFT team arriving the following day.

10

15

20

I think that's clear enough on there. But you describe the rake hoe team working on the southern edge of the fire in effect and east, are you, to the Mount Franklin Road?

25

A. South and west, they'd start off at the road and cut in along the southern side, right on the edge of the fire as close as possible, and just - even at a slow pace, seven or eight hours of work with four men would have covered some ground, and I don't believe that the fire intensity on that sort of downslope edge would have been difficult to control, but it would have required constructing a bare earth line to stop it.

30

35

Q. We'll go to 10 January.

A. A couple of photos of the RAFT team going in on 9 January, which were taken by one of the members, Mr Dearlsley, which illustrates the fuels, and the next couple are a couple of shots of the fire. This one obviously towards the upwind edge of the fire, where normally you would say that downslope and upwind would be the normal place that you would put an anchor point in and control it and hold it and then work progressively from that point around the

40

45

fire as far as you could go.

And just a final shot, this is again, I suspect, a little more towards 1100 hours, but  
5 the fire is a little more active and it is still a backing fire and sort of progressing into the local wind, a straightforward job to get it under control. Hand tool construction breaks down when the fire is about 1,000  
10 kilowatts per metre of intensity, and that's flames which are about twice that height. It breaks down mainly because of spot fires across the line, which become - rather than the intensity of the fire, but spot fires which  
15 occur in too great a frequency for the people to mop up as they're progressing, and so the whole progress is slowed down because of spotting across the line.

20 The next one. This is on the 10th at 2400 hours, and it's an aerial photo interpretation, supported by line scan data either side of it. I deal with just the behaviour of the Stockyard Spur. Although it's a generally easterly wind  
25 which is pushing the fire in this direction, the fire had during the day of the 10th crossed this saddle and had made a short, sharp upslope run in the opposite direction of the wind and taken the fire up on to this part of the  
30 Stockyard Spur.

As I understand, there was no suppression action carried out on that fire during the day. A team was sent in to the Mount Gingera fire  
35 and, again, I haven't been up in the air, but, as I understand from the statements, they started to construct a fire line around the southern side.

40 Q. In the course of your report on page 44, you refer to an understanding you had that, at about 11am on 10 January, the crews that were working on the Gingera fire were directed to leave that fire and go to the Bendora fire. Is  
45 that the understanding you had?

A. That was the understanding I got from the statements of one of the firefighters.

5 Q. And does the information available to you tend to suggest that at the time they were withdrawn they were making satisfactory progress in the work that they were doing?

10 A. The statement was, yes, suggested that they were progressing quite well. But I haven't talked personally to that person and I don't know how far they got.

Q. Yes, all right.

15 A. I think from about this point on there was little other effective suppression action taken, so these fires then continued to expand over the next four or five days, and, if there was effort, it was primarily to hold the  
20 Gingera fire to the west of the Mount Franklin Road, and some tankers were sent up to do that, but I don't know the details. So basically I'll just run through the progressive increase of the fire over the following days.

25 Q. Yes.

A. The next one. The Stockyard Spur fire spread really quite uniformly around all  
30 perimeters and just continued to expand in much the same rate in all directions, with a little bit more emphasis because of the easterly - pushing it over the spur and down into  
Stockyard Creek, just to the north. The Mount Gingera fire - the scan suggested that it was  
35 quite a fragmented edge, which just may indicate that there was quite rocky terrain towards the top of Mount Gingera, which broke up the fire spread.

40 The 11th is the next one. Again, over the next day and a little bit, this fire got across on to the southern slopes, with the easterly behind it, and so it made more rapid spread up in this direction and by 12 o'clock it had  
45 crossed the border into New South Wales. You

can see these creek lines held up portions of

the fire for short periods, but usually within the day fire had crossed over it and got on to the next upslope, and where that slope had the wind behind it, it then progressed.

5

But, despite the indentations, there was pretty regular spread of the fire - a slower spread towards the east on these steep slopes above Corin Dam and it was just backing quite slowly down that steep slope towards the dam. The Mount Gingera fire was held up by Mount Franklin Road, with probably some - there could have been tankers up there while that was happening.

10

15

The 13th is further expansion, the next one. It filled out around all perimeters. This had pushed down to this creek, which just held up that section of the fire for a brief period. These areas where it had been held up by the fire were helpful for me in reconstructing the fire spread because I could use those areas to correct the geographic location of the scan images when placed on these DDM models. The regular spread of the fire helped me to identify those areas where the fire was mild overnight by looking at area photographs and interpolating between the two line scan images.

20

25

30

At about this time there was some effort to protect an arboretum and Pryor's Hut, which I think is this area here, between the two fires. That was an historic hut for Lindsay Pryor, who was an ex-professor of botany, and had been instrumental in setting up the arboretum in that high country. So bulldozers were assigned and there was some construction effort to protect the arboretum and the historic hut.

35

40

Because of the nature of the country, putting additional containment lines required scouting, and I understand that there was some scouting done to look at possible places where this might be cut off to look down at this road and to try to tie it to the Corin Dam. It's not

45

very obvious at all where the possible cut-off would be on the western side because there is literally no access north/south of the head waters of the Goodradigbee River.

5

The next one is falling out to a larger scale, and that illustrates the road network that's available. Some roads have pushed down spurs but they are largely dead end, it seems. That in itself is a tricky situation for a firefighter to go pushing down on to those westerly slopes because there's only one way out and not a very comfortable position to be in if things get a little more severe.

Although the Corin Dam appears to be a substantial break on the planar view, I think the next one is a sort of topographic view, which illustrates the position of these fires high in the terrain and, in the advent of a strong westerly wind, it's not a great distance for a spot fire to be blown off part of this fire on to the other side of the dam, which is eventually what happened on 17 January. So they were sitting up - capped on the high country and spreading inexorably in all directions.

The next slide is 14 January. Basically this was pushed on and, apart from being held up on the Mount Franklin Road, that's spread in all directions. You can see the sort of interest where this creek has held up the southern spread until something has gone across the creek and then it's made a rapid upslope run in a northerly direction. It's slow spreading but difficult to get around unless you're prepared to commit heavy equipment and, at this size and this terrain, that's still quite a difficult job to do, and it is going to require considerable rehabilitation later.

Some of the slopes on the western side of Gingera are probably too steep to run a bulldozer on and, once the slopes are over 25 degrees, it becomes very difficult to work a

bulldozer on anything except straight up and down a slope. It's very difficult to go across slopes.

5 On the 15th, the two fires at this point had  
linked up in the vicinity of Pryor's Hut in the  
middle and had crossed over the Mount Franklin  
Road down in the southern end and, again, we  
10 have somewhat more rapid spread on the western  
slopes, compared to the eastern slopes,  
slightly more exposed and generally a drier  
fuel type.

15 The 16th - most of the progress has been  
towards the north and down towards the south -  
the fire seemingly wanting to set itself up for  
the inevitable westerly wind that's going to  
come, and so it's getting quite a width on it.  
A very slow spread in this area. Although it  
20 must have died down at night, the uniformity of  
the spread is quite interesting because just  
about all the way along that perimeter it  
expanded by the same amount.

25 On 17 January - and I'll just hold it at this  
one before we go on to the 17th. When the  
westerly winds that cropped up on the 17th  
began to blow strongly some time around 3  
o'clock, there was a spot over in this area  
30 here, and I think later there was - this either  
burnt across or spotted over in this area, and  
this southern portion of the Stockyard fire  
made a run, and I think that was observed just  
shortly after 3 o'clock on 17 January.

35 The next slide - under those strong conditions,  
this made a very strong run which persisted  
through until about midnight. The winds  
remained and there was active spread during the  
40 night and by midnight the fire had spotted  
across Mount Tennent, to the south of Tharwa.  
I'm not too sure of the time it went in, but  
this up here is the backburn that the southern  
brigade put around Tharwa. It wasn't a spot  
45 fire but a back-burn that was put around to

protect the township of Tharwa.

THE CORONER: So that area of burn around Tharwa, is that the spot fire or is that the burn that you said the brigade put there?

A. No, that's the burn the brigade did, your Worship.

THE CORONER: Thank you, Mr Cheney.

A. And I think they started around midnight.

THE CORONER: On the 17th?

A. On the 17th, yes. I just put it in there for illustrative purposes.

MR LASRY: How far south of the urban edge of Canberra is that vicinity? How far?

A. I think it's probably about four to five kilometres. I think these are the black roads near the bottom of Banks and Gordon, suburbs south of the ACT, just up there.

That's about as far as I have been able to reconstruct the spread of the fire, and I know there is more data for the 18th, but I focused most of my efforts on the northern part of the ACT. We can make some comments in general terms about where the fire spread on the 18th, but I'll do that in combination with considering the interaction between pairs of the fires.

The first one is the interaction between the McIntyre's Hut and the Bendora fires on 18 January.

The next one. The reconstruction of the line scan information, which I indicated earlier was principally a swathe coming through something like this in the area. What it did allow me to do was make some quite detailed locations of the perimeter, the flank, of this fire here. By this time, the Bendora fire had been held up in the Tidbinbilla Valley until around about 2 o'clock, and then there was a strong increase

in wind, but the spread across this part of the valley was relatively considerably slower than the spread of the Bendora fire to the north. So in this area --

5

MR LASRY: In McIntyre's --

A. I'm sorry, the McIntyre's fire, yes. In this area there was quite a lot of unburnt country in the grasslands, and, although in this area the fire had actually been making quite severe runs in parts of this area, I don't have the information for that, but there is information available which I will pull together at a later point.

15

One of the problems for an immediate interpretation from the aerial photos was that the fire almost reversed the direction after the wind change and so the normal pattern of fire scarring or the burn pattern in grassland wasn't clear. There were lines and you didn't quite know which way they were going.

20

At this time the breakaway from McIntyre's Hut has burnt down and is setting up somewhere in this area here.

25

Q. That's as at 2.30 on the 18th. Bearing in mind the weather conditions that had been prevailing over the previous few days, by then of course they were extreme. Is there anything particularly unpredictable about the fire behaviour that has occurred between, say, the 14th and the 18th of January?

30

A. No, between the 14th and 18th it was fire behaviour which I think would be pretty typical of high - moderate to high fire danger conditions through most of the day. The southerly spread of this fire, I'd have to say, was a bit of a surprise and the extent that it spread to the south, considering the relatively low spreads of parts of the flanks of both these fires, where they were visible on the scans, and this suggests that in the Brindabella Valley there was a strong valley

35

40

45

wind from the north which was driving underneath the prevailing north-westerly wind.

5 THE CORONER: Mr Cheney, where is the Goodradigbee River in the McIntyre's Hut fire situation?

10 A. Can I have a blue pen, please. It was travelling along the edge of the fire. It goes through there and tracks up through the Brindabella. Something like that.

THE CORONER: On the 18th, that McIntyre's Hut fire jumped over the river, in that bottom portion?

15 A. I believe it jumped over on the 17th, somewhere in this area near McIntyre's Hut. It was in an area of the river where it went through a steep gorge and was one of the problems that I alerted to earlier of using the  
20 river as a containment line when you haven't got access for firefighters to be available to handle spot fires across - when they're small.

THE CORONER: Thank you.

25 A. By this time, the southern part of the ACT was very heavily shrouded in smoke and it was very difficult for anybody to make any distant observations. The usual information I get is from someone who's at a point location who can  
30 give me a time that it went through that point. That's about all I can ask them about because they can't see much. From the videos that were taken from Mount Stromlo and later from a point here just off the end of Hindmarsh Drive, about  
35 there, will illustrate some of the fire activity which is on this part of the flank of the Bendora fire, and we mentioned earlier the video is showing some flames in that vicinity, but largely the flames are obscured over most  
40 of the area because of the smoke that's now coming up, and the considerable density.

45 Very often under these conditions people know that there's fire out there but they don't know or they can't see it approaching until it's

literally within a kilometre of them or so, and that really only gives them a few minutes between first seeing the flames and it being over the top of them.

5

The next slide, please. The line scan, which in this case - and I'll go back to red again, thanks. This is line scan imagery for probably about the latter part of the fire, something like that. The overlap of these two line scans for the half-hour time period between them indicated that these edges were spreading very slowly unless there was a breakaway upwind, which, like this, then meant a separate head fire parallel to the flank, and these probably weren't progressing much more than about 200 metres an hour, whereas there was considerably much faster spread elsewhere.

10

15

20

This fire that broke away in the valley has pushed along the valley as far south as the junction of Flea Creek and the Goodradigbee River, and it's made one run over the Brindabella, down into Flea Creek, which is down there, and then up again over Mount Coree, and this one has just crossed over Webbs Spur and is making spot fires quite a strong run.

25

30

The behaviour often in these areas, although it looks as though it's all going in one direction, is that the fire makes a rush up the ridge and then fills in and leaves it here behind the ridge with spot fires, which very rapidly join together and are dragged back up in the slope bedding to produce more fires which are thrown further down end, so it's basically - it's the way fires under these conditions run across very broken topography almost as though it wasn't there, and at the top end of our scales we take out the slope effects from the rate of spread because the fire effectively has the capacity to ignore the slope.

35

40

45

Again, the spread of this end of the Bendora

fire was really relatively slow in this area.  
We didn't have a lot of information, except  
some observations from the Tidbinbilla tracking

5 station, which on this map I'm not sure where  
it is, but it's somewhere in the middle here.  
We weren't able to pick this up until it  
crossed over the Bullen Range, which is this  
10 range here, some time after 1500 hours. It's  
apparent that the fire was burning strongly up  
on this part of the ridge, this part of the  
flank here was obvious from video that was  
taken there, and the fire now was across Mount  
Stromlo.

15 The next, please. It wasn't until about 3.15  
that we got a glimpse of the fire across the  
Bullen Range from a couple of points in  
Canberra. One of them was from the chap that  
20 was down on the Kambah ovals, which was here.  
He scanned around and at some stage picked up a  
short glimpse of the fire as it had come across  
the Bullen Range. There was another cameraman  
in Gilmore who was also taking some film back  
25 in that direction that picked up a glimpse of  
it beyond the Hyperdome, which is this area  
here. It may have progressed further, and  
certainly there were spot fires progressing  
further, but, under the extremely smoky  
30 conditions, it was difficult to get.

This fire, I believe, was now being pulled  
through between the two fires. People at  
Pierce's Creek at about this time had gone down  
35 to the Cotter River and the Cotter Reserve and  
had actually driven out and ran into the fire  
at this location - no, sorry, I'm in the wrong  
spot. That's Stromlo. It was about here. It  
was just past the Cotter camp ground and then  
40 decided to return to Pierce's Creek. At that  
stage they considered that this fire was quite  
a long way away from them and their concern was  
that they had the McIntyre's fire coming  
through the Uriarra plantations, and at this  
45 point just to the north of the Cotter Dam,  
which is here, and they thought that they may

50 .CF154/2003 13.10.03 P-431 N.P. CHENEY X  
(c) WordWave Int'l MR LASRY

be able to sit it out. They had under the darkness very little inclination of this sort of warning that this fire was pushing through, which was travelling at about five kilometres every 15 minutes or 20 kilometres an hour.

The next slide is the next 15-minute step, I think a pretty reliable observation of how it came into Pierce's Creek settlement. That little white spot above the red mark came in from the south. A man looked at his watch and said it was 1530, and it's about as good a timing as you'll ever get from interviewing people in this situation.

He thought it was this fire, but the previous line scan imagery had indicated that that lateral spread was really slow, so I believe that it was this fire powering through the centre. At about this time, the whirlwind started generating behind Sugar Loaf, which is - probably in this location, and I indicated before, its path generally came down there to Mount Arrawang, and Chapman was close.

The next one is 1545. I suspect that from the rate that these catchments here filled up under high intensity fire, it was these two linked together. By this time it was entering the property of Fairvale.

The work that had been done across Flea Creek on the Powerline Trail were still held up, along Powerline Trail, and Two Sticks Road, so that was holding, as most of the area back along Doctor's Flat Road on McIntyre's was still holding up. By this stage there would be nobody on those trails, attributed to the effort of the work they did to hold those areas, plus that they were done in sufficient time for the area to burn out and there was to be no trees still alight that could throw spot fires across the line.

There were about half a dozen reports - I

haven't drawn any further, but we do know that the video shows just after 4 o'clock the whirlwind is in this area, which was I believe an extension of this tongue of fire, being  
5 drawn between the two, and that at a number of locations from Woodcock Drive down in Gordon, to the back of the Hyperdome, an area up here in Kambah, behind the golf course, the reports were generally 4 o'clock that the fire had come  
10 in, so effectively by 4 o'clock this had filled in an area something like that and had burnt out down to this area in Gordon.

Mount Taylor was well alight by a separate spot fire at this point and there were spot fires on the Urambi Hills at about this time, which I think is about this area, just hanging off the map. It was the rest of that area, this little extension, and of course this was still pushed  
15 up the Molonglo River there. I don't know exactly how far up the river it had gone.  
20

I think that's probably that slide. Any questions?  
25

Q. Mr Cheney, during the week leading up to 18 January, had your views been sought by anybody as to the likelihood of something like this happening in Canberra?  
30

A. Not officially.

Q. You said you had a view as of, I think, 14 January as to what might happen.

A. Well, in general terms, simply that if we got extreme weather, the positioning of these fires and the behaviour of fires under extreme weather would push them into Canberra. It was just that, if we did get an extreme day, the wind direction would be somewhere between  
35 north-west and west and it would have the capacity to burn into Canberra.  
40

Q. The view you formed, as I understood the evidence you gave last Friday, was that you'd formed a view that that would occur if the  
45

extreme weather occurred; you'd formed that view by about 14 January?

5 A. Yes, after I had inspected - I went around the fires on Sunday and looked at their position and the extent of them. I didn't think they had - it was possible to get them under control within the next five to six days.

10 Q. Did you have occasion to speak with anyone - any authority within the Emergency Services Bureau about that opinion that you held?

15 A. I was contacted by our press liaison officer on the Monday, who was handling inquiries from the media, and had lined up that I talk to Win Television, and I rang Mr Lucas-Smith on Monday afternoon, towards the evening, and advised him that I was going to be asked questions from Win Television and I expressed my opinion to Peter that, if they  
20 asked me, I would have to tell them that in my opinion it was a very dangerous situation and that these fires were likely to burn into Canberra, and the Win Television decided not to interview me.

25

Q. They decided not to?

A. No, they didn't.

MR STITT: I can't hear you.

30 A. Win Television decided not to interview me.

MR LASRY: So your opinion never went to air?

35 A. No.

Q. So, upon you expressing the view you just said you expressed to Mr Lucas-Smith, did he respond?

40 A. Yes, as I remember, he said that they had formed the same opinion.

Q. And did he give you any indication as to what "they" meant?

45 A. I took it that he and people in Emergency Services Bureau.

Q. Thank you, Mr Cheney. Is that the end?

A. I think there's just a little more question on Stockyard and the Broken Cart fire.

5 Q. Oh, yes.

A. Just a couple more slides and that will finish it off. I just added this one. The distribution of house loss was primarily - the most severe damage was associated with the point of the head fire, of the McIntyre's fire coming into Duffy, and this area to the east of the Narrabundah pine plantation. This area in Chapman is opposite the horse paddocks and really you couldn't get a much clearer area in terms of an urban boundary. And it surprised me that - the extent of house damage within

particularly sections like this, where there was mown grass and then eaten out pasture to the west of it, and I believe that I certainly had underestimated the contribution of the native gardens and the fuels within the suburb had made to the threat, compared to other cities, which on the face of it have a much more hazardous boundary than Canberra does anywhere.

The track of the cyclone came and dipped into this section of Chapman at Lincoln Close, the tornado, and then drove through here and up Inkster Street carrying fire with it as far as to this portion of north Canberra, but, by the time it got up Inkster Street in Kambah, it just did roof damage and it wasn't followed by a mass of sparks. So only one house in that section was burnt, in fact.

The next slide is just consideration of the Stockyard and Bendora and Broken Cart fire. Underneath there, the darker red colour indicates where Stockyard-Gingera fire had got to on the 17th at midnight, and that's out here, and back through this area. Is that clear, your Worship?

THE CORONER: Yes, thank you.

5 A. Snippets of line scan indicated that there was fire burning - it burnt in this direction and had broken away on this portion of the Bendora fire and had gone in that direction. This one - the line scan extended to about that point.

10 By 1500 on the 18th, although I don't have any details, this fire had burnt out into this area here, so most of this area was burnt and it came up in this part and stopped literally just above the river, even though elsewhere the fires were travelling very rapidly. Conditions  
15 in this part of the world were very dark, but the winds were calm and fire, even on an upslope out at the Murrumbidgee River, had flames of half a metre high or so and was spreading rapidly.

20 The Broken Cart fire, which came from further back in Kosciuszko National Park, had pushed through to this point on the 17th, with a spot fire in this area here, across the Goodradigbee  
25 River. Although it was there by midnight on the 17th, by 1500 this was covered with line scan information, so it had been blown up. The spot fire and this fire had blown up into the back of the Stockyard-Gingera fire.

30 At about 1545, down at the deep space tracking station at Tidbinbilla, it indicates that the wind had swung to the westerly, and I suspect that observations from residents in the  
35 Brindabella Valley also suggest that by 4 o'clock it was a more westerly trend across, I suspect, most of the fire area. And so by 4 o'clock I think this had tended to straighten up and was probably filling out into this area  
40 behind the Tidbinbilla Range and was starting to link up with the Bendora fire. I think the last photograph I have is a view looking up the valley at this fire as it's approaching the open country, just about where the pen is.

45

.CF154/2003 13.10.03 P-436  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

That's looking south at around about 4 o'clock  
in the Brindabella Valley. The Broken Cart  
fire - the flank - that's the northern flank  
and at this point you can see what I was  
5 describing before, throwing massive spot fires  
which are now very rapidly filling in the lead  
side of the hill, with the smoke pouring over  
the top, and this happens within literally a  
matter of 15 minutes.

10

I think that's the end. If you hit it once  
more, it does something flash. There you go!

15

MR LASRY: Your Worship, the final instalment of  
Mr Cheney's evidence-in-chief is intended to be  
the playing of the compilation of video which I  
mentioned during the course of the opening. It  
will take probably two or three hours to play,  
so maybe to launch straight into it, the  
20 opening portions of it. Indeed I think the  
majority of it is video without any sound. As  
long as Mr Cheney can see the screen from  
sitting in the witness box, there will be  
points along the way where it will be  
25 appropriate for him to offer comments as to  
what we're looking at. Indeed, with your  
Worship's permission, I'd encourage him to  
provide as much commentary of what we're seeing  
as we go as he can. So I'll proceed with that  
30 now, if that's convenient. Can I just inquire  
of the witness - Mr Cheney, can you see that  
screen from there.

25

30

A. I have it here.

35

Q. You'll need to be able to see the screen.  
It may be if you move your chair to the right,  
you'll have sufficient view of it.

40

THE CORONER: We'll just move that smaller  
screen out of your way too, and out of your  
line of sight.

45

MR LASRY: It may be it might be easier for Mr  
Cheney to sit in a chair here if he has his  
radio microphone. He'll just have a better

view, that's all.

(Video was then played)

5 A. The first snippet is, I think, of us  
driving down Uriarra Road towards Uriarra  
Crossing. It doesn't last very long but it's a  
view taken by people travelling out to the fire  
at around about 7 o'clock. This was taken  
10 around about 2000 hours by the CSIRO bushfire  
behaviour team, who were out there trying to  
identify the number of spot fires that had  
occurred to try and collect data for a spot  
fire prediction that a couple of those guys  
15 were working on. They normally go out, take  
additional measurements of the weather, and  
comment on the behaviour of the fires and the  
fuels that are burning.

20 That was a spot fire adjacent to Dingi-Dingi  
Road, and they're now walking upslope towards  
the trail on Webbs Ridge and run into another  
spot fire that was located closer to the ridge.  
They're probably within 200 metres of the crest  
25 of the ridge at this point.

The view here is predominantly towards the west  
or to the south-west, and you can see that the  
wind is blowing from the south north-east.  
30 It's blowing the fire back towards the general  
position of the Goodradigbee River, towards the  
west. He's taking measurements of relative  
humidity in the air to fit with observations of  
fire behaviour.

35 You'll notice that the snow grass still has a  
green appearance. That's often a bit  
misleading because the amount of green is  
probably less than 10% of the total grass bulk  
40 matter. It just looks green on the surface.  
The snow grass is something that takes up  
moisture very quickly in the evening and it's  
one of the first fuels to stop burning because  
it takes up moisture faster than the leaf  
45 litter.

.CF154/2003 13.10.03 P-438  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

You can see the major fire activity is in the heavier accumulations of leaf litter at the base of the trees. You can see in places where the fire has in fact petered out in areas where  
5 it's either been a bit of grass fuel that's taken up moisture or it's perhaps a little rocky spot.

10 This fuel type is relatively easy to build hand line construction with, in fact almost as easy as you get, except that the snow grass can be a little difficult to dig out. It's an open forest with little shrub under storey.

15 Old dead hollow stumps catch alight because of the high drought index and do burn out relatively quickly. Right through, all the video shots do tend to make it appear much lighter than it actually is because of the  
20 capacity to operate under low light conditions. It is a bit darker than it looks, but the flames of the fire do illuminate where you were working. If you were working close to that  
25 fire, or within a couple of the metres of the fire, you can see where you're going and you can see well enough to operate chainsaws if you had to cut off logs.

30 As it does get dark there, you can pick up more reflection off the smoke, and so fires at a distance do appear to be worse than they actually are, because of basically the light reflecting from the smoke, which you don't see during the daytime.

35 This now is about 8.30 and it's up on Baldy Range, and this is the spot fire which is across the Baldy Range Road, which in places is only trickling, although burning in casual  
40 patches of heavy slash fields. The wind is from the east and sort of blowing sparks across, but, under these conditions, these sparks don't have enough energy to light up the fine fuels which have taken up moisture.

45

Q. What sort of ambient temperature would it be in that vicinity at 8.30 or 9 o'clock on 8 January, putting aside the effect of the fires?

A. On-site at Dingi trail it was 15 degrees at 8.10 and the relative humidity was 60%. They said it was a light easterly drift there, and it appears that the wind may have increased a little bit on Baldy Range. So I would suspect it's at this time probably still 14 to 15 degrees. The fire is, in places, struggling to stay alight, except where there is heavier log material, which does tend to maintain the fire on the edge. This is looking across on to the western side of the trail, up Baldy Range.

This is - standing there on Moonlight Hollow Road and this is the fire burning out of - burning in parts of Bushrangers Creek and approaching the Moonlight Hollow Road, and firefighters are trying to just keep pace with the lateral spread of the fire as it comes up to Moonlight Hollow Road. You will see usually it comes up in a number of tongues which separate it out. Helicopters are being used to try and dampen these tongues of fire as they approach the road. You can probably see them.

If one of those buckets of water hits the flame, it will temporarily douse about two to three metres of fire edge, but it won't extinguish it fully. So all it does have is a slight cooling effect on the fire, and dropping such small amounts, it's virtually impossible to build a progressive line using those small and medium sized helicopters. It's most effective if he's flying over and watching for spot fires and it's much easier to detect a spot from the air and drop a load of water on it just as it forms, and in that role it can be an enormous tool to help save whole spot fires.

It's an awkward operation, firefighting in this way. You need to spray water on the fire to try to cool the fire down. They can also wet

the fuel closer to the trail. The water will eventually dry out and those fuels will burn, and sometimes, as the fire moves along, they've got to keep coming back to ensure that the areas that had been wetted earlier actually burn out completely.

There might be a situation where the back-burning - and it would be the true definition of back-burning, setting fire along the road - it might be employed but, again, that's a two-edged operation. You will increase the width a bit, but the draw from the back-burn will accelerate the fire down slope up towards your lighting the back-burn, and you may not gain any benefit from it.

This fire is probably approaching the limits of intensity that you could hope to control under these conditions. Even so, it's not particularly severe.

This was a situation where the breakaway is going to happen because of the spot some distance on the uphillside of the road, and I had a question earlier of putting a scout up there and, if you have a person or a couple of people with a knapsack spray that pick up the embers as they land and you can put them out before they have burnt a square foot or so, then that is possible, and the easiest is having someone on the spot watching for things, fire brands, to land.

The pilot is going to be very precise with the positioning of drops. The main problem is it doesn't go very far.

THE CORONER: What date is this, Mr Cheney?  
A. This is on Sunday, the 13th, your Worship.

The problem with wetting the fuels along the road is that you increase the amount of smoke, which makes it difficult to pick up spot fires on the other side of the road. Now, it has

spotted above the road and the helicopters are going up to it. The spot fire was about three

5 metres long by about two metres wide when they first started working on it, but they were unable to control it. I observed about 16 drops on that small spot fire and it still managed to get away from them - well, until a hose line was run up from the tankers on the road, and by that time several more spot fires had occurred and fire was at the point of breaking away and the firefighters had to pull out.

15 A small nest of wagtails which are probably no longer there. That was just on the edge of the road.

20 Shortly after this time, a bit further along the road the fire had picked up in the headwaters of Bushrangers Creek, and, as the easterly wind increased just a little bit in strength, pushed it upslope and over the Brindabella Road. As would happen, the cameraman's battery went flat at this point and we missed all the good stuff.

MR LASRY: So that was Sunday the 12th. This is Monday the 13th.

30 A. This is Monday the 13th, and this is from a hill just inside the Uriarra plantation, looking north towards the smoke column of the McIntyre's Hut fire, I think, or am I looking in the wrong direction? No, I think it's probably looking towards the Bendora fire, across Coree Creek.

40 The wind was from the east and it's blowing the smoke away from Canberra. Now panning around towards - looking now towards the McIntyre's fire, which is beyond Mount Coree. Looking back to Bendora fire, and the smoke on the far left would be probably smoke coming from Stockyard, further south. That would be parts of the northern perimeter of the Stockyard fire burning. Most of Bendora was behind that

range.

5 A little bit of extra column there - it was  
probably at about this time that the burning  
out from the Powerline Trail and Two Sticks  
Road linked up. We're now looking at the  
burning out operation as it was proceeding  
10 along Two Sticks Road to the east of the  
junction with the Baldy fire trail and  
Dingi-Dingi Road.

15 This is the New South Wales Rural Fire Service.  
They had a fair contingent of people up there,  
but you can see that there is enough northerly  
component - we're looking about due west on Two  
Sticks Road, and there's enough northerly  
component that lighting up has to proceed  
slowly because of spot fires being generated  
and thrown across. So this was one section  
20 and, compared to the northern side, this  
proceeded very slowly on the southern side,  
once the wind had shifted to the north of east.

25 This section is on the northern perimeter of  
McIntyre's fire on Webbs Ridge trail, where it  
was burning out towards Doctor's Flat Road,  
some five or six kilometres from Doctor's Flat  
Road.

30 The principal hazards on the burnt area are  
really stepping into a smouldering stump hole  
of a big old stump that has died out and has  
burnt out. And, if you're walking across the  
burnt ground, you have to be careful not to  
35 stand in a stump hole because you can go up to  
your knees in hot coals, which for quite a time  
in Victoria was the principal injury to forest  
firefighters - standing in burning stump holes  
or getting leg injuries.

40 I think the time was probably approaching 7  
o'clock in the morning at this time. This was  
taking a walk towards the east of the trail,  
and this is just walking along a section of the  
45 fire edge.

For much of the period of the slow expansion of the McIntyre's fire on the country to the west of Webbs Ridge, this would have been very characteristic of this type of fire, only making brief runs which have worked on a slope which was lined with the direction of the wind, run up to the top of that ridge and then continued on as a backing fire under the light winds, much as you see in here.

Q. Was that a stump hole?

A. I don't think so. It might have been a wombat hole. At this time of day it would be highly unlikely that there would be any escalation of the fire behaviour. If the staff are working in this area during the day, their instruction is to stay close to the fire and, if there's a change, to walk on to the burnt area before the fire picks up intensity.

Q. There's a section which is now out of picture where the edge seems to have extinguished?

A. Yes, there would be - and I believe that, later in the night, most of the edge would have been extinguished. But I maintain that the heavy log material and the smouldering material could have reignited during the day. Though it may appear relatively mild and going out in places, to stop the fire you have to remove all the fuels and make sure there's a continuations line of bare earth around the fire, and logs and roots that might cross that have to be cut off and dug out.

This is a flight on the 14th. I very quickly get lost on this flight so I can't pass many comments. We're flying south over the Murrumbidgee River. The Bullen Range is in the foreground.

Now, I think that's in the south of the ACT, in the Namadgi park somewhere, but someone more familiar with the area may know better than I.

This perhaps highlights the difficulty of reconnaissance of fires and why line scanning equipment is such an invaluable tool telling them exactly where the fire is.

5

This was the day that the helicopter went into Bendora Dam and the flight was associated with the rescue or the recovery of the helicopter from the dam.

10

Q. How many litres do those buckets hold - that one, for example?

A. I don't know. They come in various sizes - 200, maybe 400 litres. There are larger ones that can carry a bit more.

15

I think this is in the vicinity of Falls Head.

Q. That is McIntyre's Hut?

20

A. I think that's the Bendora hut.

THE CORONER: Mr Cheney, is this part of the burning out operation.

25

A. Yes, this is up on that break that I had some photographs on, on the top break, above Chalet Road, between Chalet Road and Mount Franklin Road.

30

How you light up a burn can have a big influence on fire behaviour, and how many points you light at or how you light can change from a relatively benign fire to a seriously hot fire. In very general terms, the more fire you put in, the hotter the result is going to be as these fires interact with each other. As conditions become moister at night, sometimes this burning out effort can be thwarted because you can't get effective spread until the conditions warm up the next day.

35

40

MR LASRY: No problem getting it to light there. It lights pretty easy.

A. He's putting a lot of diesel on it. They have lit along the edge and some distance in to rapidly achieve some depth in the break that

45

they're putting in.

5 This is taken from Mount Taylor on 17 January.  
It's looking towards Bendora fire. The  
original video did have a time stamp on it and  
so I can be easily proven wrong if I open my  
mouth about the time, but I think it's probably  
around 4 o'clock in the afternoon and perhaps  
going on to 5 o'clock.

10 This is the two major columns coming out of the  
Bendora fire, and on the far right you will see  
one of the spot fires which has been thrown  
from the convection column and the major smoke  
15 is coming up from Brindabella Creek as it burns  
up towards the Mount Franklin Road, just south  
of Piccadilly Circus, and the fire is now  
throwing spot fires between the Mount Franklin  
Road and the Cotter River.

20 This is a view towards the McIntyre fire, and  
the fire there is similar to that photograph I  
showed on the slides where it had burnt out  
into the grasslands near the Powerline break.  
25 Looking to the south, there's a mass of smoke  
from the major one that's the Stockyard fire,  
which is now at this time burning probably in  
the vicinity of Corin ski resort, or south of  
the Corin ski resort, making quite a strong run  
30 across that country between Corin Dam and Mount  
Tennent.

The lights of spot fires plus flashing light  
from the vehicles who are attempting to control  
35 the spot fires as it's coming out into the  
grassland, east of Dingo Dell and just to the  
south of Doctor's Flat Road, and the fire is  
now burning out on to grazing country. That  
was McIntyre's. Now, looking back south  
40 towards the extension of the Stockyard Spur and  
now the substantial convection column - the  
fire is now burning intensely towards Mount  
Tennent.

45 This is probably around 8.30 in the evening

now, between 9.30 and 9 o'clock perhaps.

5 This is video taken from the car park at Mount Stromlo, next to the major observatory, looking towards the north-west.

10 MR LASRY: Your Worship, may we just pause that for a moment. It might be easier, if it's possible, and I don't know whether it is, to show this with the date time stamp on it. There's a digital version of this particular piece of film that might assist Mr Cheney in nailing down the time. Is that immediately to hand?

15 A. It would certainly help me, your Worship.

THE CORONER: If that's available, that should be shown.

20 MR STITT: I want to raise something.

MR LASRY: Mr Stitt wants to raise a matter, so perhaps we can pause the evidence there and leave it until the morning.

25 THE CORONER: Yes, we'll start with that segment of film tomorrow morning. Thank you, Mr Cheney. Yes, Mr Stitt.

30 MR STITT: Your Worship, I wanted to raise a matter in terms of guidance from your Worship, and it seems that we are reaching the point where it would be necessary for that guidance to be given.

35 You will recall that at the outset I asked whether this inquiry was to be subjected to the rule in Browne v Dunn, and I don't understand that we ever got a clear answer to that. But  
40 what has happened now with Mr Cheney's evidence nearly finished in chief, it throws up into sharp focus the question of how the rest of his evidence is to be dealt with. It's plain from what happened today that my learned friend Mr  
45 Johnson at least has some evidence which tends

to contradict the evidence that's given by Mr Cheney and he, I assume, would wish to challenge some of the criticisms that are prevalent throughout Mr Cheney's report.

5

If the rule in Browne v Dunn does apply, then he would be required to put all of that material to Mr Cheney. If you rule that it does not apply, then he doesn't have to put any of it to Mr Cheney and he's perfectly entitled to keep that part of his case up his sleeve, as it were, until he goes into evidence or some of his witnesses go into evidence.

10

15

From my point of view, being somewhat indirectly involved, I would like to know very much just how this matter is to proceed from now on and whether my learned friend Mr Johnson will be bound by the rule in Browne v Dunn and whether he will not be, because it will have a very real bearing on the way this inquiry now proceeds. I'm not being critical, but I did raise this right at the outset and I think we really need to know where we're going now.

20

25

I would be grateful, your Worship. I don't even need to know now - perhaps in the morning - but I raise it now because I don't want to take up time tomorrow when Mr Cheney's evidence-in-chief will in fact be concluded because that will be the time that we need to know the answer to that question.

30

35

MR JOHNSON: Could I be heard on this, thank you, your Worship.

THE CORONER: Yes, Mr Johnson.

40

MR JOHNSON: I was conscious of reading the transcript of an early day when this point had been raised, and I made a mental note of it, but it hasn't been raised since. It would certainly be my submission to the court that, consistent with the practice in inquiries, coronial and indeed other sorts of commissions

45

of inquiry, that the rule of Browne v Dunn would not apply, and indeed it is difficult in many ways for that rule to apply.

5 This is not an ordinary piece of criminal or  
civil litigation where there are cases to be  
put with one case being led and then the  
opposing party leading another case, and indeed  
what's happened in the present situation is  
10 that, at the early stage in the inquiry,  
evidence has been called from Mr Cheney which  
deals with a range of issues and as to which  
his report, as is apparent on its face, sources  
a number of things to a number of statements,  
15 but those of course are statements of people  
who haven't given evidence and indeed there may  
be more statements which deal with the same  
subject matter.

20 The issue that arose this morning, and which  
led to a short adjournment, was perhaps an  
example of what could happen in this type of  
situation. I have taken the view to date,  
perhaps wrongly - perhaps it's appropriate it  
25 is raised now - that the evidence of Mr Cheney  
is before the inquiry. I propose to  
cross-examine him on some issues at this stage,  
but it's quite apparent that there is likely to  
be a substantial additional factual body of  
30 material before this court in the new year  
which may lead to some changes in the opinions  
of Mr Cheney.

To test it all now is in some ways probably a  
35 fairly arid process. Put to him a series of  
assumptions perhaps which may or may in the  
alter the position. I certainly propose to  
cross-examine to some extent, but it will be on  
the basis, as I would seek to indicate, that  
40 there may be additional facts bearing on these  
issues which will be before the court at a  
later time.

45 As I understand also, it's likely that the  
present witness would be called back again,

perhaps even on more than one occasion, not only on issues in the report which are before the court now but on issues of hazard reduction and other matters which have not been touched on yet. So I have to say that perhaps wrongly I had taken the view that this is a process which has some flexibility, where it is clearly highly appropriate that there be detailed evidence in particular about the fire behaviour and the movement of the fire, as to which it is an area that is well and truly in the expertise of the witness, and indeed it's been very helpful to get some clarity in that area at this time.

So I would anticipate cross-examining the witness, but I would submit that, in accordance with the usual practice, the rule in *Browne v Dunn* would not apply, and indeed, if it was to apply, I would probably have to ask that at the end of the evidence-in-chief of the witness, he be stood down and I don't attempt to cross-examine him at all because, if it's effectively to be a witness and for all exercise, I would certainly need some time.

As your Worship has observed, quite apart from the statements that have been referred to in the report of Mr Cheney, issues have been raised orally for the first time and, if the rule in *Browne v Dunn* was to have some application, it would be a very large task and unwise for me even to embark upon it. But I have taken the view, and I would submit it is the correct view as a matter of law, that the rule in *Browne v Dunn* really has nothing to do with this inquiry and that the inquiry can proceed upon the basis that there may be cross-examination of the witness at this stage that may be of some assistance to the court at this stage. There may be further evidence at a later time from factual witnesses and indeed from Mr Cheney. The critical thing at the end of the day is what is the body of evidence which is before the court, which at the end of

the day will be the subject of submissions no doubt.

5 I've stood to say those things now without  
realising the issue was to be raised, but it is  
perhaps highly appropriate that it is raised  
now so that everyone perhaps understands the  
ground rules at this stage of the inquest, your  
Worship.

10

THE CORONER: Yes, I agree with that, Mr  
Johnson.

15 MR STITT: Could I just raise a couple of  
things. I don't know what my learned friend  
means when he talks about the "usual practice"  
in inquiries and commissions. I have appeared  
I think in all Royal Commissions and  
commissions of inquiry, 15 in number, and in  
20 almost every one of those the rule in Browne v  
Dunn was applied because it's a rule of  
fairness and it's a rule of procedural  
fairness. Now, if it's to be envisaged that  
poor Mr Cheney is to come back and back and  
25 back, making repeated returns to the witness  
box, every time there's a different piece of  
evidence or every time there's another  
statement, then not only is it inefficient, but  
it's highly unfair because the thing will  
30 emerge in piecemeal, segmented, incoherent  
ways.

35 Whilst it is true that we don't have an  
adversarial situation in an inquiry such as  
this, what we do have is a factual gathering  
exercise and, whilst my learned friend says  
he's not ready to cross-examine Mr Cheney, he  
must at least have available to him, which I  
don't have available to me, a vast body of  
40 evidence that bears upon the various matters  
that Mr Cheney has given evidence about.  
Fairness would indicate that, if there is to be  
a challenge made based upon that material, it  
ought to be put to Mr Cheney and it ought to be  
45 put in circumstances where the rest of us are

able to see what's happening. If it's not done  
that way, what will happen is that there will  
be, as I say, segmented pieces of information  
coming out at different times which presumably  
5 Mr Cheney - and this seems to be the way my  
learned friend Mr Johnson wants to proceed -  
will be required to keep coming back to deal  
with it.

10 Now, that is not only inefficient but, as I  
say, it's unfair, and I don't want to embarrass  
my learned friend. I don't want to put him  
under any pressure, but it only has to be  
stated to see how it can work in an unfair way,  
15 and in an inefficient way.

I would suggest, with great respect, that there  
ought to be some direction given that, if there  
are to be contrary assertions and opinions  
20 based upon other and different evidence, which  
we saw today when you had an adjournment so  
that Mr MacNamara could be consulted, it ought  
to be done now, and we ought to be told, and we  
ought to all be brought into the picture as to  
25 which way these matters are going to be dealt  
with. If it's all going to be accepted that  
what Mr Cheney says is right and there's no  
contrary view and there's no contrary fact,  
well then we should be told. If there is a  
30 different view and a different set of facts,  
then we should be told that as well. It's a  
principle of basic fairness.

THE CORONER: I accept that, Mr Stitt. Do you  
35 wish to be heard, Mr Lasry? I certainly have a  
view.

MR LASRY: I was caught in the middle of the two  
explosive arguments but I think, on balance, at  
40 this stage I'm more inclined to submit that my  
learned friend Mr Stitt is nearer to the ideal  
situation, although it's got to be said that  
that's subject to the fact that Mr Cheney's  
evidence is obviously incomplete.  
45

But in so far as it's possible for my learned friend Mr Johnson particularly to cross-examine Mr Cheney and put matters to him that in fairness to his clients he thinks should be put and challenge those aspects of Mr Cheney's evidence that should be challenged, then I must say I'm inclined to agree with Mr Stitt, that he should be in a position to do this at this stage, subject to the qualification that Mr Cheney's evidence is based to some significant extent on what he's been told by other people. It's not all first-hand observation but nonetheless he's expressed some opinions that are of some considerable importance to your Worship's inquiry, and, if they're to be subject to challenge, then it's not clear to me now as to why they shouldn't be challenged, albeit that that's got to be said subject to the qualification that we've made it clear that in a sense, although this is the bulk of Mr Cheney's evidence, it will be incomplete and he will be recalled. But it's going to assist, apart from anything else, the development of the list of issues for the remainder of this inquiry for the issues to be articulated.

I don't like the sound of Mr Johnson, for example, not cross-examining at any length and simply keeping information that he might have which is contradictory to Mr Cheney to himself until some appropriate time. We're caught in the middle because, as counsel assisting you, our obligation is to present as much material to you as would assist you to reach the conclusion that you need the reach. So, if there's contradictory information, rather than playing it as an adversarial situation, ideally it should either be presented or we should be informed so that we can present that material. Mr Cheney has made it clear that his opinions are subject to correction by people who are better placed, if there are any, to offer evidence than he is.

But, in so far as it's necessary for any of the

represented parties to confront Mr Cheney on his conclusions, my submission is that, subject to Mr Cheney's return, wherever possible that should be done forthwith.

5

THE CORONER: That is the only way that it can proceed, Mr Johnson, that, if you do have a position or information that is contrary to what Mr Cheney is putting, then the only fair way to present that evidence to this inquiry, and the only way that it can possibly be beneficial to me, is if you do put that matter or those matters to Mr Cheney, as you're aware of them, because I have some difficulty to see how this information can ultimately be put

15

before me if you don't inform counsel assisting and don't give counsel assisting the opportunity to lead that information from witnesses, which or perhaps who you may be aware of who may have a contrary view and then leave it open for other people to cross-examine those witnesses.

20

So the only fair way is for you to cross-examine Mr Cheney as the matter proceeds, but I am very mindful of the fact that this is not the only evidence that Mr Cheney will be giving and that there will be an opportunity to cross-examine him later on other aspects of his evidence. But I agree with what Mr Stitt said. The only fair way is for everybody who does have a contrary position or who does have information to the contrary, in fairness to this witness and certainly in fairness to the integrity of this inquiry, is to put that information, put those questions, to the witness and give that witness an opportunity to comment on that evidence. It's the only way that it can possibly be helpful to me. And that should happen ideally as the matter progresses rather than saving it all up and then producing it as one body of evidence or cross-examination.

35

40

45

MR JOHNSON: I don't think I said I was going to

.CF154/2003 13.10.03 P-454  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY

do that, your Worship. I think I indicated I did intend to cross-examine the witness, and I will indicate by way of cross-examination issues which appear to be genuinely in dispute,  
5 but we do have a situation where, before the facts are in, the witness is expressing opinions. Now, there's reference to some factual material. I'll do the best I can at this stage, your Worship, but this is an expert  
10 witness giving opinions on issues before the factual evidence is in.

Now, perhaps I'll say nothing more than that at this stage, your Worship. I've had an  
15 opportunity to hear what's been said. I will do the best I can at this stage. If I feel I need time and I'm not in a position to do justice to my client's case at this stage, I'll ask your Worship for more time if it arises,  
20 but this is a report from Mr Cheney which of course came to us in relatively recent times and it does raise a series of factual issues as to which I've been seeking to get instructions and will continue to do so.

I would submit, as a matter of law, the rule in Browne v Dunn is not applicable in this inquiry. The experience of Mr Stitt is not my  
25 experience. He, of course, is much more experienced than I am, but ultimately the rule in Browne v Dunn is a question of fairness to witnesses. This present witness is an expert  
30 witness. I will seek to do what I can so that your Worship has an understanding of what appears to be in issue in so far as the report of Mr Cheney is concerned, and I'll certainly be seeking to do that tomorrow when the  
35 opportunity arises.

Perhaps there's nothing more I'll put by way of submission at this stage, your Worship. I've had an opportunity to hear what's been said by all involved and I'll seek to deal with the  
40 consequence of your Worship's ruling, I'll take that up in cross-examination tomorrow with the  
45

witness.

5 THE CORONER: Thank you, Mr Johnson. You can  
step down, Mr Cheney, thank you. So is there  
anything else, Mr Lasry?

10 MR LASRY: No, your Worship. We'll continue  
with the video in the morning. I suspect that  
will take another hour or so.

THE CORONER: Is that to finish playing the  
video?

15 MR LASRY: Yes, that will be the end of Mr  
Cheney's evidence-in-chief, your Worship.

20 THE CORONER: We'll adjourn until 10 o'clock  
tomorrow morning.

MATTER ADJOURNED AT 4.08pm UNTIL TUESDAY,  
14 OCTOBER 2003

25

30

35

40

45

.CF154/2003 13.10.03 P-456  
(c) WordWave Int'l

N.P. CHENEY X  
MR LASRY